

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58

INDEPENDENT PRICING AND REGULATORY TRIBUNAL

PUBLIC HEARINGS REVIEW OF ACCESS ARRANGEMENT AGL GAS NETWORKS

---

Tribunal Members

Prof Tom Parry, Chairman  
Mr James Cox

---

Held at Meeting Room 1, Level 2  
44 Market Street, Sydney NSW 2000

On Thursday, 1 April 1999, at 10.00am

---

computerReporters Pty Ltd  
Level 10  
233 Macquarie Street  
Sydney NSW 2000

Tel: (02) 9221-6660

INDEX

1		
2	Page No.	Organisation and Representatives
3		
4	99	BHPP
5		(Bill Henson, Peter Fitzgerald &
6		Bill Garrod)
7		
8	121	INCITEC
9		(Jim McLeod)
10		
11	129	ENERGYAUSTRALIA
12		(George Maltabarow & Mike Martinson)
13		
14	138	HARRISON MANUFACTURING CO PTY LIMITED
15		(Richard Michell)
16		
17	145	TOOHEYS
18		(Cliff Stockley)
19		
20	152	DEPARTMENT OF HEALTH
21		(Graham Hawkins, John McCarney
22		& Jim Snow)
23		
24	162	AGLGN
25		(Bruce Connery & Chris Harvey)
26		
27		
28		
29		
30		
31		
32		
33		
34		
35		
36		
37		
38		
39		
40		
41		
42		
43		
44		
45		
46		
47		
48		
49		
50		
51		
52		
53		
54		
55		
56		
57		
58		

1 THE CHAIRMAN: We resume our hearings into AGL's  
2 proposed revised access arrangements and we have  
3 BHP this morning. Please identify yourselves for  
4 the record and we will proceed.  
5  
6 BHHP  
7  
8 MR HENSON: Bill Henson From BHP Petroleum, New South  
9 Wales Gas Marketing Manager.  
10  
11 MR FITZGERALD: Peter Fitzgerald, a consultant with  
12 BHP.  
13  
14 MR GARROD: Bill Garrod, Energy Technology and  
15 Development Manager, Energy Services; and BHP  
16 Flat Products, Port Kembla.  
17  
18 MR HENSON: We thank you for the opportunity to  
19 present our submission to the Tribunal this  
20 morning on AGL's access arrangement. I also  
21 thank you for the opportunity to be the first  
22 speaker on April Fool's Day.  
23  
24 THE CHAIRMAN: We thought it was appropriate.  
25  
26 MR HENSON: Well, I guess in light of having read the  
27 AGL proposed access arrangement we think this day  
28 would be better named AGL Fool's Day because in  
29 our view AGL is seeking to fool the regulator and  
30 to fool consumers by supplying incomplete,  
31 inaccurate and inadequate information. It is  
32 seeking to fool residential customers by  
33 significant price increases and to fool  
34 industrial customers by denying them fair and  
35 reasonable prices. Lastly, it is seeking to fool  
36 the fundamental objective of gas reform, or one  
37 of the objectives, the elimination of monopoly  
38 rent through a \$1 billion asset revaluation.  
39  
40 I would like to go through this presentation  
41 covering six topics. Firstly, to talk briefly on  
42 code objectives; then to that familiar issue of  
43 information disclosure; to spend a little time on  
44 asset revaluation; touch on operating costs; my  
45 colleague Bill Garrod will talk about the tariff  
46 structure and some of the impacts of that  
47 proposal on customers; and we will draw it to  
48 some conclusions perhaps more in the nature of  
49 some recommendations for IPART for the next  
50 steps.  
51  
52 We start first with the objectives of the  
53 code. I guess the preamble to the code or the  
54 introduction to the code lays out fairly clearly  
55 the objectives we are trying to achieve with the  
56 national code. Essentially they were twofold.  
57 The first objective was to prevent the abuse of  
58 monopoly power and in the most pragmatic terms

1 one of the key parts of that is to eliminate  
2 monopoly rents and not for them to be disguised  
3 in some other form.  
4  
5 The second objective is the promotion of  
6 competition, that is, the competition in upstream  
7 markets which in this case means gas production  
8 and gas transmission, and competition in  
9 downstream markets, which is gas retailing. I  
10 guess this view is obviously shaped by IPART  
11 which I guess in its determination stated that  
12 access is not just a means in itself, it is a  
13 means to an end, and the end is promotion of  
14 competition.  
15  
16 In the case of AGL's application, there are  
17 some very specific issues which make this issue  
18 of competition perhaps more important than it is  
19 in other applications. I guess I refer here to  
20 AGL's 51 per cent controlling interest in the  
21 Moomba-Sydney pipeline. I am sure AGL will state  
22 that in accounting terms they are deemed not to  
23 have a controlling interest in that pipeline. I  
24 guess speaking practically as somebody who has  
25 operated in the market it is our view that AGL  
26 does hold a controlling interest in that  
27 pipeline. Therefore, as a consequence of that  
28 AGL has a substantial interest in seeing any gas  
29 that comes into New South Wales utilising their  
30 infrastructure.  
31  
32 For example, if gas was to be discovered  
33 under the Sydney Harbour, AGL would be very  
34 determined to try to prevent it from entering  
35 their system; rather they would prefer gas flow  
36 down the Moomba-Sydney gasline. Therefore we  
37 think that, in considering this application, it  
38 is extremely important that IPART have careful  
39 regard for any elements which may impact on  
40 competition.  
41  
42 In our view we are very pleased to see that  
43 there is a simultaneous review of the ACT access  
44 application, the Central West application and the  
45 New South Wales application. We would prefer to  
46 see that the Moomba-Sydney pipeline review was  
47 added to that group and we would encourage there  
48 to be a lot of cross-cooperation between IPART  
49 and the ACCC both on the Moomba-Sydney pipeline  
50 and also by the ACCC in this investigation.  
51  
52 The other key area of competition is in the  
53 downstream market, and in the access arrangement  
54 in our view there are a number of potential  
55 barriers to downstream competition. For example,  
56 the onerous gas balancing provisions, we have a  
57 concern that retailing costs be included in the  
58 networks and there has been significant cost

1 shifting within the network arrangement.  
2  
3 Information disclosure, as I said, is a very  
4 familiar topic. Of course, this was a major  
5 problem in 1996 and a problem in 1997 and in fact  
6 the New South Wales code had to be modified to  
7 deal with the problems which had arisen from  
8 information disclosure to allow a second bite at  
9 the cherry in terms of setting a capital base.  
10 Also, the National Code was strengthened in terms  
11 of information disclosure in response to the  
12 problems which had arisen in New South Wales.  
13  
14 However, here we are in 1999, we are now  
15 into April, three months plus into the process,  
16 and we still do not have a compliant set of  
17 information from AGL. We are particularly  
18 concerned that these matters have not been  
19 rectified ahead of the date of these submissions  
20 and this public hearing. We are further  
21 concerned that the data which has been provided  
22 has in it to our mind a number of anomalies and  
23 inconsistencies, for example, the stated mid-1966  
24 depreciated actual cost has moved from around  
25 \$700m to \$960m without explanation. The  
26 networking capital has gone from minus \$30m to  
27 minus \$270m over the same time period.  
28  
29 The last point under information disclosure  
30 is we are particularly concerned about related  
31 party transactions. A significant part of AGL  
32 Network's claimed costs are services bought from  
33 other AGL entities and we are very concerned that  
34 there should be full disclosure of the basis of  
35 those transactions.  
36  
37 We believe, and I am sure we have no  
38 disagreement with IPART on this, that there is a  
39 duty to consult properly and that consultation  
40 should be done with adequate information  
41 disclosure. I recall IPART organised a very  
42 successful conference last year on the benefits  
43 of informed regulation, the benefits not only to  
44 the regulator but also in terms of enabling full  
45 submissions.  
46  
47 I was also very pleased by the comments the  
48 Chairman made at the introduction of this  
49 session. We would, however, request that IPART  
50 take a couple of further steps on information  
51 disclosure. Firstly, it was mentioned that  
52 information had been disclosed under section 41  
53 of the law and we would ask that, if there is any  
54 information which has been disclosed which is  
55 material in terms of IPART's decision-making, we  
56 believe that information should be disclosed to  
57 interested parties so they can properly  
58 participate in the process.

1  
2 The second thing is we suggest that there be  
3 a second formal round of submissions, that a  
4 deadline is set for formal submissions because it  
5 has a great effect in terms of galvanising  
6 interested parties in getting submissions in and  
7 on time, with some further public hearings if  
8 necessary.  
9  
10 I would like to move now to the initial  
11 capital base. I would like to introduce this by  
12 talking about some of the changing positions,  
13 what has changed in the 18 months or so or two  
14 years since the middle of 1997 to 1999. There  
15 have been some quite remarkable changes in that  
16 time period. In 1997 I recall in this room Bruce  
17 Connery claiming there was no retail margin in  
18 gas. In fact, I believe this has been one of the  
19 paradigms of the New South Wales gas market for  
20 many years, that there is no retail margin in  
21 gas.  
22  
23 However, I do note that AGL last year,  
24 Energy Sales and Marketing, reported a pre-tax  
25 profit of \$34m. Now, to AGL that may be no  
26 retail margin, maybe \$34m is not significant, but  
27 there are many others of the new entrants who  
28 would like to share in that.  
29  
30 The second issue in 1997 was that there was  
31 a statement that the tariff market basically  
32 couldn't pay its way and in fact as I recall \$75m  
33 of the gas customers reserve account was put  
34 aside to be used over a period of seven years to  
35 try to ameliorate any price impact on the tariff  
36 market. From that conclusion about the tariff  
37 market there was a claim made it was a  
38 cross-subsidy.  
39  
40 However, in 1999 we see a very different  
41 picture; we see a claim there has been a major  
42 turnaround in the tariff market but operating  
43 margins have improved from \$88 per customer to  
44 \$130 per customer and that the household sector  
45 can sustain increases. To our mind we have seen  
46 no explicit claim of a cross-subsidy in 1999. In  
47 fact, I think the "cross-subsidy" words only  
48 appear once in the entire access arrangement  
49 information and that is in the sentence which  
50 implies that due to low interest rates they no  
51 longer exist. So we are very confused in our  
52 mind as to whether there really is a  
53 cross-subsidy.  
54  
55 I am no economist but I share Trish Benson's  
56 question of yesterday, if margins have improved  
57 and the household sector can sustain increases,  
58 how can there be a cross-subsidy? That is a bit

1 of an unknown to us.

2  
3 Following on in 1997 again from the  
4 conclusion of the cross-subsidy was the  
5 conclusion therefore that the contract market  
6 must pay more to make up for the shortfall, and  
7 hence the stand-alone marginal pricing was made  
8 and in 1999 the fact that the household sector  
9 can sustain increases while, boy, will they get  
10 some, \$\$1 billion worth spread over the next 20  
11 years. Notwithstanding the lack of a claim of  
12 cross-subsidy, there is still a claim that the  
13 contract market should pay more and the  
14 stand-alone pricing margin is proper.

15  
16 I would like to go into that in a little  
17 more detail. This next overhead shows the change  
18 in operating costs per customer expressed in real  
19 dollars. This information is taken directly from  
20 AGL's revised access arrangement information. It  
21 shows pricing costs per customer falling from  
22 \$211 to \$148. In absolute dollar terms that is a  
23 drop from \$141m to \$111m or 6 per cent per  
24 annum. However, it is perhaps better expressed  
25 on a per customer basis as revenue is more driven  
26 by the number of customers, and on that basis  
27 there has been an 8.5 per cent drop per annum, a  
28 compound drop.

29  
30 Of course, the price control formula which  
31 regulates prices for the tariff market makes an  
32 assumption about falling pricing costs. It  
33 assumes only a 1.5 per cent real fall in pricing  
34 costs. Therefore, we would say the benefit of  
35 falling operating costs has largely been captured  
36 by AGL and not by its customers.

37  
38 Secondly, there has been a significant drop  
39 in the cost of capital over the last four years.  
40 The cost of capital I guess is best illustrated  
41 by the changes in the long-term bond rate which  
42 has fallen from 10 per cent to 6 per cent in the  
43 last four years. That is a 14 per cent reduction  
44 in interest rates. Assuming a 60 per cent debt  
45 gearing, that equates to a further 45 per  
46 customer reduction in the cost of gas  
47 distribution to gas networks.

48  
49 Now, to the best understanding of ourselves  
50 of the price control formula, the issue of  
51 changed interest rates is not reflected in the  
52 price control formula, which is rather surprising  
53 in a capital intensive industry that there is not  
54 some explicit recognition of the impact of  
55 interest rates. As a consequence of that fall in  
56 interest rates not being reflected in the price  
57 control formula, it has been 100 per cent  
58 captured by AGL.

1

2 Having in mind the drop in interest rates  
3 and the drop in operating costs I think it is  
4 fair to say that we are inclined to accept AGL's  
5 suggestion that there has been a turnaround in  
6 the profitability of the tariff market. Obviously  
7 with falling costs this has a significant impact  
8 on profitability.

9  
10 This next graph shows EBIT as a percentage  
11 of funds employed. The first two bars on the  
12 left are bars provided by AGL from their revised  
13 access arrangement information. The two bars on  
14 the right are estimates made by BHP. What we see  
15 is operating costs down by \$63 a customer,  
16 interest costs down by 45 per customer and we  
17 believe that revenue has gone up because of  
18 increases both in price and volume. It is a bit  
19 of a mystery to us how under a CPI-X pricing  
20 formula prices go up in real terms, which is what  
21 they appear to have done in recent terms, and  
22 there have been volume increases. The net result  
23 is essentially excessive profitability.

24  
25 For a network service provider that is a bit  
26 of a problem because regulators have a habit of  
27 believing that excess profitability should be  
28 returned to consumers, and where is the fun in  
29 that? So AGL have a different proposal. That  
30 proposal is to revalue the assets by \$1 billion  
31 and capture that excess for the shareholders for  
32 now and into the future. Of course, an assets  
33 revaluation is a very effective means of doing  
34 that because it increases apparent cost, it does  
35 not increase real costs, but regulatory costs in  
36 terms of increased capital charges and increased  
37 depreciation. Also, resulting smaller profit is  
38 divided over a much larger asset base so it has  
39 the pleasing effect of reducing the apparent rate  
40 of return.

41  
42 The further benefit of it is that once this  
43 asset value is set it can't be revisited in the  
44 future, so there is no risk of a future regulator  
45 deciding to change its mind and come back and  
46 capture this value. Once it is captured for  
47 shareholders that is it, it is locked in for  
48 good.

49  
50 The issue of the appropriate asset value  
51 can't be looked at in isolation. It has to be  
52 looked at in the context of the form of  
53 regulation of AGL. I started this series here in  
54 this overhead at 1935, although I understand AGL  
55 regulation predates that time. In the time  
56 period from 1935 to 1986, AGL was regulated as an  
57 after profit cap on the entire historic cost of  
58 assets of the entire AGL group, so that included

1 gas and any other businesses that AGL may enter  
2 into. Such a structure clearly created some  
3 insensitivities. It was considered to have  
4 resulted in some significant problems. Already  
5 in 1986 there was a restructure of AGL at the  
6 behest of the New South Wales Government and a  
7 new entity, AGL (New South Wales), was formed and  
8 the gas assets of AGL were transferred into that  
9 entity at their written down book value, which we  
10 take to be the historic cost, and I guess that is  
11 recorded in the deed of settlement between the  
12 New South Wales Government and AGL at that time.

13  
14 For the following four years AGL continued  
15 to be regulated on a profit cap based on historic  
16 cost. In 1990, due to changes in fashion in  
17 regulation, they were switched to a CPI-X  
18 formula. However, CPI-X prices were applied to  
19 the prices determined under the previous cost  
20 regime, so we would suggest that during the 1990s  
21 AGL has essentially been regulated on an historic  
22 cost basis albeit in the form of a CPI-X form of  
23 regulation.

24  
25 The situation is that AGL is regulated  
26 today. It was regulated, it has been regulated,  
27 and it has been regulated on the basis of  
28 historic cost. The entire natural gas  
29 distribution system of New South Wales was built  
30 under a regime of historic cost regulation. The  
31 shareholders put their money into that project to  
32 build a national gas distribution system on the  
33 clear understanding their rates of return would  
34 be determined from historic cost.

35  
36 This situation, of course, contrasts very  
37 starkly with the situation in Victoria where the  
38 Gas and Fuel was never subject to regulation.  
39 There was a major debate, what was the basis of  
40 setting prices, and essentially the regulators in  
41 that situation approached the situation with a  
42 relatively blank sheet of paper. Very different  
43 in New South Wales. We have an entity which is  
44 regulated on historic cost and also has been  
45 regulated, so we see a very different situation  
46 here.

47  
48 I show next a graph which would be very  
49 familiar to followers of BHP's submissions as it  
50 has been included in every submission to every  
51 regulator in every State for the last three or  
52 four years. We now have a new title for this  
53 graph following the presentation from Professor  
54 Johnstone yesterday, this is now called the "free  
55 lunch graph".

56  
57 I do not intend to spend much time on it  
58 because for those who follow it they will be

1 familiar with it, but the vertical line shows the  
2 point that we are at 22 years now after the  
3 introduction of natural gas into New South Wales  
4 and shows that a price path which followed either  
5 of those lines would deliver a rate of return  
6 equal to the cost of capital. Clearly a movement  
7 from the red line, which is the historic cost  
8 basis, to the green line, would result in  
9 significant excess value captured.

10  
11 In summary, I guess the way we regard AGL's  
12 proposal is really very straightforward. AGL is  
13 proposing to transfer \$1 billion of value from  
14 New South Wales gas consumers to AGL's  
15 shareholders. If accepted, the AGL proposal  
16 would increase the cost of gas in New South Wales  
17 over the next 20 years or so by \$1 billion. We  
18 think that is a pretty serious matter.

19  
20 AGL has sought to show how the impact of  
21 that can be softened through optimistic growth  
22 forecasts and through fairly modest real price  
23 increases. However, I would ask the Tribunal to  
24 consider what happens if the growth forecasts do  
25 not eventuate, what happens to prices then? What  
26 happens if interest rates do not stay at 6 per  
27 cent and go back up to 10 or 12 per cent? What  
28 then is the price impact on particularly the  
29 residential market?

30  
31 Our conclusions on the initial capital base  
32 are, as I stated before, the proposed asset  
33 revaluation has the effect of transferring \$1  
34 billion from consumers to shareholders. In  
35 considering this application IPART should have  
36 particular regard to the current and the past  
37 regulation of AGL, have particular regard to the  
38 reasonable expectations of the shareholders when  
39 they put money into this company and the returns  
40 they have enjoyed in the past and, of course,  
41 particular attention to the objectives of gas  
42 reform, so we are calling, requesting, that IPART  
43 should conduct an open, transparent and vigorous  
44 investigation into the past and present  
45 profitability of AGL in New South Wales.

46  
47 Turning now to operating costs, this is a  
48 topic which has been covered by a number of other  
49 speakers so I will not spend much time on it.  
50 One thing I would note, however, is that we  
51 appear in the application to have a confusion  
52 between cost and revenue because in the breakout  
53 of operating costs there is a negative operating  
54 cost of some \$24m. That looks to us more as some  
55 source of revenue rather than a cost. The  
56 unexplained presence of that \$24m makes  
57 benchmarking somewhat problematic.

58

1 In terms of the marketing, it has been said  
2 before, \$36m, to put that into context, equates  
3 to \$53 for every residential household. The  
4 wellhead cost of gas for the average residential  
5 customer is \$48, so AGL Networks alone, I might  
6 add, this is Networks alone, not obviously the  
7 retail operation, are proposing to spend more  
8 money on marketing than they do buying gas from  
9 producers. That is a little hard to believe. In  
10 fact, AGL suggested themselves that if the  
11 marketing costs were removed and 90 per cent  
12 penetration was assumed, they would come into  
13 line with benchmarks. We are very pleased to  
14 find one point on which we agree with AGL and we  
15 recommend that IPART do just as they suggest,  
16 which is to remove the marketing costs.

17  
18 More importantly, we again call for full  
19 disclosure of related party transactions and the  
20 basis of allocation of costs between the  
21 regulated and non regulated entity.

22  
23 This next overhead just illustrates  
24 diagrammatically the point we made earlier. We  
25 will just go to the next one. In terms of our  
26 conclusions, our preliminary conclusions and  
27 recommendations would be that prices be set on  
28 depreciated actual cost with a 7 per cent real  
29 pre-tax cost of capital. At this point, the AGL  
30 opex is accepted, however, with \$30m removed.  
31 That would still leave \$6m for marketing,  
32 alternatively some of that \$30m can be removed  
33 from administration and general, and that in  
34 place of AGL's stand-alone marginal proposal that  
35 non-discriminatory pricing is used where all  
36 users pay the same price to use the same pipe for  
37 the same service.

38  
39 If such an approach was taken, the  
40 conclusions would be that the contract market's  
41 revenue could fall from \$99m to \$17m. The tariff  
42 market target revenue could fall from \$202m to  
43 \$182m. The net effect is that the benefits of  
44 the lower interest rates and the reduced opex  
45 could be captured by customers and not captured  
46 by shareholders through the \$1 billion asset  
47 revaluation.

48  
49 I would like to turn now to my colleague  
50 Bill Garrod to talk about some of the practical  
51 implications of this arrangement.

52  
53 MR GARROD: Let me say I appreciate the opportunity  
54 to speak to the Tribunal, and in that context I  
55 guess I must make the point that I am not an  
56 economist, I am but a humble engineer and a  
57 customer - both perhaps increasingly rare  
58 breeds.

1  
2 It seems to me that all of what Bill has  
3 talked about so far is really trying to determine  
4 the size of the cake that has to be shared  
5 amongst the national gas industry players and I  
6 guess it is the way that cake is cut that I want  
7 to touch on now. First of all, I have to say  
8 that we have had some difficulty in comparing the  
9 previous arrangements and the current access  
10 undertaking basically because of some information  
11 shortfalls, and I do not need to say any more  
12 about that I do not think.

13  
14 The things that we have, I would certainly  
15 like to point out that there seems to be a quite  
16 significant changed cost revenue allocation  
17 between the trunk and the local network. This  
18 is, of course, intentionally or otherwise  
19 obscured by some changed definitions of trunk  
20 versus network and the examples of that are in  
21 the Port Kembla area where in the 1997  
22 undertaking the trunk ended at Five Islands  
23 Road. It now stops at Mt Keira and I think there  
24 are some definitional changes in the northern  
25 trunk and coastal trunk. That makes comparison a  
26 little more difficult, if not impossible, for  
27 some things.

28  
29 The other point is that there appears to  
30 have been included without comment, defence or  
31 any support the changed method for allocating  
32 individual site costs. There has just been no  
33 explanation for the move from a site specific  
34 model to a postcode model. I guess we would  
35 certainly like to understand that, to perhaps  
36 follow on my little cake cutting analogy, I  
37 suspect that gas networks see this as not a cake  
38 model but a caviar model and that you can't cut  
39 caviar, you just dollop it out and there is  
40 always some left in the bowl. I am just a little  
41 concerned that that total allocation, which I  
42 will show you, has had quite dramatic effects  
43 certainly on some customers.

44  
45 The other area of concern, it was a concern  
46 that we had last time, was that the future load  
47 assumptions are unknown to us and it is difficult  
48 for a customer in isolation to understand that  
49 they are reasonable. There are obvious things,  
50 the Newcastle works closure, the front-end is  
51 known. Port Kembla has had and possibly will  
52 continue to have quite large load variability - I  
53 will touch on that later - and we also ask, what  
54 is the status in this of new loads? And an  
55 example of a known new load is the Port Kembla  
56 Copper Plant due to start later this year.  
57 Obviously it is difficult for us to expect  
58 networks to include unknown loads by definition.

1  
2 Just in terms of supporting some of those  
3 things, let's now turn to the outcomes of this  
4 from a customer's perspective. Firstly, an  
5 observation that we feel is appropriate is that  
6 this undertaking is a response to competition by  
7 moving the revenue generation into the network  
8 and we presume this is a defence strategy against  
9 the Eastern gas pipeline and we would obviously  
10 be asking the Tribunal to consider the  
11 appropriateness of that.

12  
13 To be more specific, I have got here just a  
14 couple of sites showing the annual unit charge  
15 for capacity. The 1997 one, obviously that  
16 undertaking and the current undertaking, you will  
17 see two things. First of all, at both sites  
18 there is a quite dramatic shifting of those  
19 charges into the network. Some may be due to  
20 definitional changes, some may not, but the other  
21 important thing to note is that the total of the  
22 take for 1997 versus 1999 is significantly lower  
23 and, let me tell you, this is going to create, if  
24 it is accepted, a price shock.

25  
26 Just to give you some idea of that, if we  
27 presume - and we presume on a couple of grounds -  
28 that the 1997 undertaking which certainly stopped  
29 at the end of June, and we accept that,  
30 foreshadowed a revenue and a path which would  
31 have seen transition charges disappear, and if we  
32 also presume that in contracts that we have in  
33 place where pricing is basically predicated on  
34 that, with the rider that it will change with the  
35 determination of this determination, has created  
36 for us some expectations. And those expectations  
37 I would have to say on basically all our or the  
38 majority of our reference sites have been  
39 dashed.

40  
41 In the case of the port Kembla site, the  
42 network charges that we expected versus what is  
43 proposed for the first year of this determination  
44 are some 126 per cent higher than what we had  
45 expected. The lowest site is 3 per cent, and we  
46 would not get our blood pressure up over that  
47 unduly. The other sites are in the 30, 40 and 80  
48 per cent change. You might argue, or gas  
49 networks might argue, that is only an interim  
50 change, it includes transition charges, but when  
51 we take out the transition component of the 1999  
52 undertaking four of our six reference sites still  
53 see 40 per cent increases in what they would  
54 otherwise have expected from the 1997  
55 determination - not a pretty picture for a  
56 customer.  
57  
58 Future load assumptions, no way for us

1 to check, and we are just questioning, will IPART  
2 verify those assumptions? We have tried to do  
3 some work with what information we had for  
4 Wollongong. The Port Kembla works is the largest  
5 and most variable customer and I think in the  
6 last 12 months our MDQ at that particular site  
7 has moved from about 20 down to 9 terajoules. We  
8 certainly welcome the changed rules that gave us  
9 the opportunity to do that.

10  
11 Looking at Wollongong, which I guess is a  
12 limited number, we have tried to reconcile the  
13 contract revenue information presented and we  
14 can't do it from the information presented and  
15 from the information of, shall we say, the market  
16 intelligence.

17  
18 Just to finish, on the last page, the  
19 operating rules have changed for the MDQ  
20 reservation and whereas before the situation was  
21 you made a reservation and it locked in, an  
22 incremental one, for 12 months, the situation now  
23 seems to be if you are in the position where one  
24 month after a contract has started you wish to  
25 increase that reservation then it is locked in  
26 for a minimum of 12 months, or to the end of the  
27 contract period, and our interpretation of that  
28 suggests that sites could be exposed to quite an  
29 increase in the length of time they are locked  
30 in.

31  
32 Gas balancing - well, complex and mysterious  
33 were the words that I really chose. I think  
34 there are a couple of things on that. Is that  
35 complexity necessary? I believe there is some  
36 experience in other States that suggests it is  
37 not. The other point that is of some regret that  
38 I might make is that we have no real ability, or  
39 had no real ability, to draw on any gas balancing  
40 experience from that first three years. That  
41 opportunity has not been available and so we do  
42 not have the situation to comment on gas  
43 balancing first-hand, primarily because we  
44 weren't able to put those arrangements in place  
45 because gas wasn't available to us to do so.

46  
47 Just to sum up this customer's reaction -  
48 well, outrage. I think that sums it up. We are  
49 very disturbed by the price shock. I note in  
50 some areas of the submission the gas networks  
51 people have suggested transition is there to  
52 prevent price shock. I think there is enough  
53 price shock for us, and I know other customers,  
54 to cause extreme anguish.

55  
56 We believe this particular submission locks  
57 in the benefits that AGL will receive. We  
58 believe the rules for using it are complex and



1 unnecessary and provide an unnecessary  
2 discouragement to using the system.

3  
4 To close off from me, one of the issues for  
5 us in the mundane aspects of our budgeting is  
6 what does the world look like after July? We  
7 would certainly seek, first of all, the  
8 Tribunal's recognition that the delay in the  
9 process is a delay which flows benefits into the  
10 gas networks' pockets and we would certainly seek  
11 some determination that would give us certainty  
12 from hereon in.

13  
14 As an overall view, if I can just finish by  
15 perhaps continuing my analogy, I suggest to the  
16 Tribunal that if we view this as a caviar  
17 proposal by the gas networks it is inappropriate  
18 for the Tribunal to take away the crackers and  
19 leave the caviar. I hesitate to say, let them  
20 eat cake, but be that as it may some of the  
21 customers are eating crow. Thank you.

22  
23 MR HENSON: I will wrap up with some recommendations  
24 for IPART's forward action. Firstly, as we have  
25 said many times, we call on IPART to ensure full  
26 information disclosure with a particular focus on  
27 related party transactions and allocations of  
28 corporate overheads. Secondly, we are looking  
29 for an open, transparent and vigorous  
30 investigation into past and current returns and  
31 also into any cross-subsidy, if such a  
32 cross-subsidy is claimed to exist, and we are  
33 confused on that matter at the moment.

34  
35 We call on IPART to complete the studies it  
36 already has underway, as they will be extremely  
37 useful for benchmarking the marketing costs, the  
38 five-year forward and backward capex. We believe  
39 you should investigate some of the competition  
40 issues closely because they can be very important  
41 in terms of determining prices. Clearly a \$34m  
42 retail margin does not exist in the absence of  
43 competition.

44  
45 We then call for a second round of  
46 submissions and hearings before the draft  
47 submission. As Bill mentioned, there are some  
48 very immediate issues coming up from prices from  
49 July 1999 onwards and quite simply BHP needs to  
50 decide whether to buy coke or gas and price is  
51 very important in making that decision.

52  
53 In summary, we see in front of us a \$1  
54 billion proposal from AGL and I guess we are  
55 looking for a \$1 billion response from IPART. We  
56 are not looking for it to spend \$1 billion,  
57 however, we are looking for IPART to put  
58 resources, time and priority to this matter which

1 is commensurate with the claim from AGL for a \$1  
2 billion increase.

3  
4 THE CHAIRMAN: Thanks very much. That prompts me to  
5 check what we are having for morning tea. I  
6 think it is hot cross buns!

7  
8 We have had discussions and debates over  
9 asset valuation probably for too many years now.  
10 I note that your proposal looks at a 7 per cent  
11 real return on depreciated actual costs. I am  
12 wondering whether by nominating a real return you  
13 are suggesting that perhaps indexed historical  
14 cost depreciated might be the appropriate way to  
15 go or perhaps 7 per cent nominal rather than  
16 real.

17  
18 MR FITZGERALD: The submission essentially puts the 7  
19 per cent in on the basis that there is some  
20 indexing for inflation which BHP has said is not  
21 its preferred position but concedes that that is  
22 what has been agreed to by other regulators in  
23 other jurisdictions, and so what we have said is  
24 if that is to be the norm then you do need to do  
25 a real cost of capital; essentially that.

26  
27 THE CHAIRMAN: You do not specifically mention - you  
28 may have in your submission but I do not recall -  
29 an issue that came up yesterday to some extent,  
30 the question of capital contributions, which  
31 clearly is still relevant even on a DAC approach  
32 to life. Do you have a view on capital  
33 contributions, how they should be treated? In  
34 particular, if they are to be treated, how the  
35 initial capital base is determined; should they  
36 be applied generally or should they be applied  
37 specifically to individual customers?

38  
39 MR FITZGERALD: I think it may be worthwhile to  
40 actually have a hearing or workshop around the  
41 options of doing that because I think yesterday a  
42 compelling case was made for it not to be  
43 disregarded, past user contributions. I think a  
44 case as a matter of equity exists between the  
45 utility and the customer that has paid past user  
46 contributions. As a result there is probably a  
47 case for keeping the assets in the initial  
48 capital base so that if other people wish to use  
49 say a stretching of trunk line that are not made  
50 part of past user contributions the asset should  
51 still be in the initial capital base but that the  
52 pricing in a specific reference tariff for a  
53 specific customer should take into account the  
54 past user contributions and is therefore an  
55 adjustment to the total revenue that can be  
56 expected across the network, the specific 2A  
57 reference service to a specific customer, so I  
58 think, sorry to use the analogy, you can have

1 your cake and eat it too by actually having both  
2 the asset in the asset base but also give equity  
3 to consumers by giving them the discount base on  
4 user contributions.

5  
6 THE CHAIRMAN: If you can unscramble the eggs.

7  
8 MR FITZGERALD: That is right.

9  
10 THE CHAIRMAN: To paraphrase the two Bills, I am not  
11 an engineer and when engineers talk about the  
12 problems of the proposed gas balancing  
13 arrangements, MDQ reservations, I find it very  
14 hard for my eyes not to glaze over. Can you  
15 explain it to me simply, to a lapsed economist?  
16 What are the real issues?

17  
18 MR HENSON: I think the best way of illustrating the  
19 problems is by looking at comparisons with  
20 systems elsewhere and I guess one system we are  
21 very familiar with is the Dampier Bunbury  
22 pipeline in Western Australia where gas balancing  
23 is a particular issue because it runs very close  
24 to full capacity and when you are in that  
25 situation keeping the balance is much more  
26 important.

27  
28 The system which is in place there was  
29 originally proposed to be extremely onerous with  
30 very severe penalties and after a lot of lobbying  
31 by users it was agreed that the penalties would  
32 be waived to give a trial for the system. I  
33 guess some four years later those penalties have  
34 never been introduced.

35  
36 THE CHAIRMAN: It is a best endeavours type approach  
37 to balancing?

38  
39 MR HENSON: There is an obligation to balance but  
40 users understand it is important to keep the  
41 system running properly because they want to get  
42 their gas to market, therefore they have an  
43 incentive to try to make it work. A relatively  
44 simple system there has been operating  
45 successfully and does not create any problems,  
46 and we ask the question, the AGL system as we  
47 understand it has a lot of excess capacity in it  
48 and we just do not see the need for the  
49 complexity of what has been proposed and we  
50 therefore are suspicious it has been proposed as  
51 a barrier to entry. There is practice of this in  
52 the US, as I understand, where in the early days  
53 complex balancing regimes were proposed to try to  
54 discourage competition, and that may be the case.

55  
56 THE CHAIRMAN: MDQ reservation issues, again for a  
57 non engineer.

58

1 MR GARROD: With MDQ reservation, where you have got  
2 a load or a business where you wish to tailor  
3 that MDQ reservation to respond to market  
4 opportunities or as regrettably at Port Kembla,  
5 as a result of a downturn in the business, you  
6 need the ability over a reasonable time frame to  
7 set a MDQ level and if you get it wrong you pay  
8 for it.

9  
10 I do not have a problem with that, it is the  
11 duration of that period. Whereas the previous  
12 undertaking, as we had interpreted it, as you  
13 needed to you had gone down and if you wanted to  
14 go up again you had 12 months minimum at that  
15 increased slice, that is fine, but at the end of  
16 that time if your base load had reached the end  
17 of the contract period you could reduce that so  
18 you could tailor a drop-off in your load again.

19  
20 The current undertaking, if I am correct,  
21 suggests that once you have made that reservation  
22 that reservation is not the top slice, it is the  
23 total load increase and it can only decrease at  
24 the end of the contract period. In the worst  
25 case, by my numbers at least, you could be  
26 sentenced to paying for 12 months rather than  
27 one. That just seems to us to provide some  
28 constraints both on the upside and the downside  
29 because of the inability maybe to pick up  
30 business opportunities that might be of a short  
31 nature, because of the concern you will be locked  
32 in.

33  
34 THE CHAIRMAN: We might again pursue that, as with  
35 other issues. One of the other issues, once you  
36 cascade down the caviar or pie, to those who pay,  
37 is the question of tariff structures. I am not  
38 sure that I really understand, at least in the  
39 presentation today, when you talk about  
40 non-discriminatory pricing, that is everybody  
41 pays the same for the same use of pipe, so what  
42 is it you really have in mind in terms of pricing  
43 structure because there is a push to move away  
44 from what I think is recognised is a very complex  
45 "follow the molecule" process at the moment.

46  
47 I am interested in your views on tariff  
48 structures.

49  
50 MR HENSON: I guess we have not put forward in much  
51 detail here what we would recommend as a pricing  
52 structure because we focused very much on the pot  
53 of dollars. The non-discriminatory things were  
54 not addressed in the postcode issue but in the  
55 stand-alone marginal issue and therefore our view  
56 is that there is no economic justification and  
57 there is no ability under the code to adopt  
58 stand-alone marginal and therefore that is what

1 that addresses.

2

3 As we say, the "follow the molecules"

4 approach, while although a little complex to

5 generate initially, certainly had the benefit of

6 maximum cost reflectivity and as soon as you

7 moved to postcodes, postcodes are pretty large

8 and therefore there is a lot of averaging within

9 a postcode, where the large users loses out and

10 the small users within it benefit. I guess it

11 also results in substantial price shocks.

12

13 I do not know, we have looked at about 120

14 sites and the majority of those sites are facing

15 changes of 40 per cent or more up or down, which

16 mostly relate to the change in the pricing

17 methodology. We do not see at the moment any

18 offsetting benefits from the postcode regime.

19

20 THE CHAIRMAN: Another issue to pursue. Thank you.

21

22 MR COX: Thank you for your submissions and

23 presentations. You do raise obviously a number

24 of very important issues. I want to start off

25 with the competition issues. You mentioned that

26 that is something we need to take especially

27 seriously. I think you have mentioned this

28 morning a number of aspects of the proposed

29 agreement that may be anti-competitive in

30 agreement, things like gas balancing and the

31 reservation conditions and, indeed, the pricing.

32 We have had less comment from you on the question

33 we pursued yesterday of the services offered and

34 whether there is any competitive impact from the

35 way that has been presented. I wondered if you

36 would care to comment on that?

37

38 MR HENSON: I guess in our submission we have called

39 for certainly one additional reference service

40 which is the interconnection reference service.

41 I guess we are very concerned about

42 interconnection. There are some words in there

43 about interconnection for offtakes but I notice

44 that anybody who might wish to have an offtake

45 automatically puts them on the top of the load

46 shedding list and therefore I do not see the

47 reason for that. It seems to be a mechanism for

48 discouraging interconnection for offtakes.

49

50 We certainly would like to see that issue

51 addressed and that would therefore also require a

52 couple of other issues to be addressed, if an

53 interconnection occurs within or part way along a

54 trunk, how should that be priced; paid at pro

55 rata or not?

56

57 Secondly, if interconnection is made at one

58 point then the issue of backhaul immediately

1 arises to customers which are located upstream,

2 so I think with interconnection there are a

3 couple of other services which are important.

4

5 One of the problems is that we are looking

6 here at a period where we can expect some fairly

7 dramatic change in the New South Wales gas

8 market. We can expect a second source of supply

9 to be connected in, a competing pipeline and, on

10 some people's expectations, full retail

11 competition. One of the difficulties in terms of

12 predicting what does that require is the proposal

13 to have a five-year access arrangement and it may

14 well be more appropriate for a shorter access

15 term such that the changing market is better

16 reflected, rather than trying to get now what

17 will be required in the new market, to shorten

18 the term of this arrangement and then respond to

19 the market requirements.

20

21 MR COX: If we move now to the asset valuation

22 questions, as you understand we hear a lot of

23 arguments about asset valuation and people come

24 to us asking for essentially a DORC valuation, so

25 we have a lot of experience in that. One of

26 those put forward is that DORC valuations are

27 appropriate in terms of economic efficiency

28 because it treats incumbent gas suppliers on the

29 same basis as new entrants. I wonder if you

30 would care to comment on that?

31

32 MR FITZGERALD: If I can comment, the submission

33 includes what Bill has referred to as the "free

34 lunch chart" and you will see that in the free

35 lunch chart the DAC price actually exceeds the

36 DORC price in the first seven and a half years in

37 the chart. So if the proposition is that a new

38 entrant would have a price that looked more like

39 DORC than DAC, we contest that because a new

40 entrant comes in not with DORC but ORC, actually

41 comes in with a higher price than an depreciated

42 asset and therefore is actually more likely to

43 have prices in excess of all existing players.

44

45 If that is the case, it is more likely that

46 the DAC price in the first seven years of the

47 pipeline life would more accurately reflect a new

48 entrant than the DORC value. So the proposition

49 being put by various parties, without evidentiary

50 support, without numeric support or otherwise, is

51 as has just been said. And that is because DORC

52 has traditionally been seen as an economic

53 concept and therefore it has to be ipso facto

54 closer to efficiency. Well, numerically I do not

55 think it stands up. We have evidence in there

56 which hasn't been contested.

57

58 MR COX: I would like to ask you to comment on

1 Professor Johnstone's presentation yesterday  
2 where essentially he said that the really  
3 important thing is take account of revaluation in  
4 the income statements. I do not think he was  
5 saying that the asset valuation is a matter of  
6 indifference, but the more important thing is to  
7 make sure of accounting for it. Would you care  
8 to comment on that proposition?

9  
10 MR FITZGERALD: I think his primary point is that it  
11 ought to be true that you recover NPV equals zero  
12 or that over the life of the asset it should be  
13 that. You do not get that if you actually switch  
14 between the two. That is a point he makes, but  
15 what he says is if you do want it to undo the  
16 free lunch effect you ought to then put it to  
17 income and essentially what he is saying here is  
18 if AGL wants a \$1 billion revaluation and that  
19 is its preference in terms of recovery of NPV it  
20 could do that by giving five years free use of  
21 the pipeline system, but that is not what is  
22 being proposed.

23  
24 It is certainly true that giving the  
25 benefits of inflation to the asset base can put  
26 it into the income line, and that is essentially  
27 what is being done in the choice of a real versus  
28 nominal cost of capital, so what you are saying  
29 is that even though the current nominal cost of  
30 capital might be 10 per cent, we will give you  
31 only seven per cent now because you are actually  
32 getting a three per cent appreciation in the  
33 asset value during the course of that time.

34  
35 So his proposition is unambiguously true at  
36 an economic level. It is to some extent being  
37 used and is incorporated in the proposal, at  
38 least in the choice of a real versus nominal cost  
39 of capital, but to take his proposal forward  
40 would require, certainly on the numbers that BHP  
41 has put forward, five years free use of the  
42 system. If Networks wants to propose that, we  
43 would have to think about it.

44  
45 MR COX: I wanted to move on to the issue of growth  
46 forecasts. I think Bill Henson said they were a  
47 very difficult thing to do. Both Bills said  
48 that. I think I agree with that. We heard some  
49 evidence yesterday to the effect that AGL's  
50 growth forecasts for the contract market were  
51 perhaps if anything too pessimistic, that there  
52 was scope for growth they had not identified. I  
53 think you would tend to argue the reverse, that  
54 things are a bit tougher than AGL was  
55 suggesting.

56  
57 In the tariff market we have a submission on  
58 your behalf by NERA which suggests that, once

1 again if I read it correctly, AGL's projections  
2 may well, the tariff market growth, be too  
3 pessimistic. I refer you in particular to pages  
4 46, 47 and 48 in the NERA submission. I wonder  
5 if you would care to comment?

6  
7 MR HENSON: Perhaps I can just address the NERA  
8 question first of all. The submission put in by  
9 NERA is a submission that was prepared at the  
10 request of BHP. I guess at the last hearings  
11 IPART expressed a preference for professional  
12 advisers not to be represented in the hearings  
13 and I guess we have followed that and that is why  
14 we do not have NERA here today. However, we  
15 think it is quite a significant submission that  
16 they have made and we would be very happy to put  
17 any questions you might have to NERA and get  
18 answers in writing, and we can turn that around  
19 in 24 hours and that can be added to the public  
20 record if you would like to ask questions on  
21 their report.

22  
23 Turning back to growth, a couple of things:  
24 First, it is a little difficult to decouple  
25 growth with price. Clearly there is an  
26 elasticity of demand. I guess we heard Allen  
27 Mawby talk about the fact that companies are  
28 making decisions all the time where to locate  
29 investment. Often it can come down to really  
30 that gas can be a significant issue in that  
31 decision where to locate investments. That is  
32 why communities are so pleased to get gas  
33 connected, to try to bring investment to their  
34 areas.

35  
36 It is not possible to decouple the two.  
37 However, I think AGL's zero growth forecast is  
38 conservative in a couple of areas. Firstly,  
39 while there has been zero growth in the contract  
40 market since 1980, a couple of comments on that.  
41 BHP started in the 1980s by taking 22 petajoules  
42 per annum and ended taking I believe 10  
43 petajoules last year. So there has been a  
44 significant drop in the gas take from BHP which  
45 has been made up by some underlying growth from  
46 other industrials.

47  
48 I guess again if there are the price  
49 reductions which we are recommending we would  
50 expect that to be accelerated. Secondly, while  
51 we share the short-term pessimism on electricity  
52 generation, this proposal would not run for five  
53 years I guess, and we can certainly see some  
54 potential for some gas and electricity  
55 co-generation towards the end of that period. It  
56 is very difficult to forecast. That is one of  
57 the difficulties of a five-year review, that it  
58 becomes very problematic, but we think there is

1 some upside there.

2

3 There is of course, I guess, a surprisingly  
4 large amount of coal being used still within the  
5 system. For example, at Botany, five kilometres  
6 from the city, they are still burning 2  
7 terrajoules of coal. That is quite remarkable,  
8 that trucks are hauling coal into Botany. I am  
9 sure in time that will switch over to natural  
10 gas. I guess we see some growth forecasts. We  
11 think the forecasts, the approach by AGL, is not  
12 a forecast but a straight-out claim and that  
13 there is no substance to it, that it is not a  
14 forecast at all.

15

16 MR GARROD: Perhaps I can just mention Port Kembla.

17 Well, I guess it is a sizeable load and from  
18 November last year we basically started to go  
19 down into lower production and all the time use  
20 less natural gas. If I look at the Port Kembla  
21 steelworks site, in December it was running on an  
22 annualised basis of 1.5 petajoules. Probably six  
23 or 12 months before that it was up over three and  
24 in some cases four. So we are in a trough at the  
25 moment.

26

27 We are in the process of ramping our  
28 production back up and we expect to increase our  
29 MDQ reservations, building up over the next 12  
30 months. We actually went through somewhat of an  
31 agonizing decision yesterday to decide what we  
32 would do for this month and next month, but  
33 notwithstanding that I guess we have some idea of  
34 what we are doing over the longer term and I do  
35 not think history, or a decision based in time,  
36 particularly at the bottom of the trough, is  
37 necessarily the right way to go. We have not  
38 been asked I guess to provide MDQ long-term  
39 projects but we are anticipating that by the  
40 early part of next year we will be up from our  
41 nine to around 20, 22, somewhere around there,  
42 just as a result of changed operations and a  
43 little bit of optimism in the market. That can  
44 really swing things around.

45

46 MR COX: One final question about the stand-alone  
47 cost basis being ORC rather than DORC. I believe  
48 you are saying in your submission that this  
49 approach, ORC rather than DORC, is not consistent  
50 with the code. Would you like to elaborate on  
51 why you think that, and perhaps if you want to  
52 comment on the approach more generally?

53

54 MR FITZGERALD: It was said yesterday by Bruce  
55 Connery that it was consistent with the code.  
56 Legal advice as late as last night said there was  
57 nothing in the code that would support it. To  
58 the contrary, the code says that total revenue

1 shall be based on a depreciated asset base and  
2 that the principles that apply to individual  
3 tariffs should be the same as the principles that  
4 apply to total revenue.

5

6 Secondly, the stand-alone approach actually  
7 uses depreciation, actually puts a charge to  
8 depreciation, so if the ORC base continues on and  
9 is not depreciated how can depreciation be  
10 charged to the contract sector? You are actually  
11 charging for something that has not been taken.  
12 So the code is quite specific that the capital  
13 base going forward takes into account where it  
14 started, you add what has been added in terms of  
15 new facilities and you subtract the depreciation  
16 taken. Now, if that is not the mathematics being  
17 applied to the contract market it cannot be said  
18 to be consistent with the code. The submission  
19 says that BHP has no legal doubt about this.  
20 That has been confirmed again yesterday.

21

22 THE CHAIRMAN: Thank you very much for that. That  
23 has been most helpful. There are again a number  
24 of issues that will be pursued over the coming  
25 months.

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

51

52

53

54

55

56

57

58

1 INCITEC

2

3 THE CHAIRMAN: If could you identify yourself for the  
4 record and we will proceed.

5

6 MR McLEOD: My name is Jim McLeod and I am Supply  
7 Manager with Incitec Limited. As an  
8 introduction, we have not put a lot of time into  
9 producing a lot of computations for this  
10 presentation. Our major concern is a lack of  
11 information. When we have that information we  
12 will certainly do that as we trust there will be  
13 further deliberations in public and private to  
14 take that into account.

15

16 Another comment I should make is that  
17 Incitec's keen interest is in the transmission  
18 line from Wilton to Newcastle and we will not be  
19 in a position to comment in any great detail on  
20 other matters. What we would like to do is to  
21 talk to principles only.

22

23 There are a number of key issues that we  
24 have identified. The first one is the issue of  
25 the term of this determination. The proposal put  
26 forward by Gas Networks is for a five-year term.  
27 It is our position that that is far too long  
28 given the current state of the market. The first  
29 key issue I draw attention to is the term of the  
30 determination. In our view two years is the  
31 actual maximum at the current state of evolution  
32 of this market in this State.

33

34 I will list some of the major concerns. The  
35 first one of course is the Eastern Gas Pipeline,  
36 which I understand will be in effect in one  
37 year's time, which maybe an argument for a  
38 one-year determination. That would not concern  
39 us any. That must change matters. There will be  
40 matters of backhaul. I do not see how a  
41 five-year term can possibly foresee all of the  
42 matters that will be caught up by this major  
43 change in gas supply.

44

45 The second item is co-generation projects,  
46 and that has been covered. There are a couple  
47 that are well known. No-one has canvassed them.  
48 They are good ideas maybe waiting for lower costs  
49 or higher electricity prices. I would expect  
50 both are quite likely. We ourselves would like  
51 to put in a small unit in Newcastle. I am sure  
52 we will be hindered in that by the cost of gas.  
53 I know many other people are.

54

55 The privatisation of the electricity  
56 industry - I wrote this before the election and I  
57 do not think I need withdraw it. In the context  
58 of a five-year time, surely there will be another

1 election and we will know what the Opposition's

2 view is on the sale of assets. The point there,

3 of course, is that it is easy to envisage AGL

4 acquiring say EnergyAustralia's electricity

5 assets which will produce considerable benefits

6 in syllogise. However, I draw your attention to

7 the current state of the derogation by the New

8 South Wales Government to the regulation by ACCC

9 of transmission pipelines. As I understand it,

10 that may well be an event that occurs in July

11 2002, if not before. I think it would be highly

12 inappropriate for this regulation to constrain

13 the ACCC as and when it appropriately moves in to

14 regulate the transmission lines.

15

16 Finally, I come to incentives. A five-year

17 term under current conditions gives the

18 proprietor of the network an awful lot of

19 incentive to improve costs. I did read somewhere

20 that that job has been finished. I do not know

21 that I am prepared to believe that on the few

22 costs that I have seen. For instance, I am sure

23 that famous \$35m marketing cost can be reduced.

24 I believe it is quite inappropriate to have an

25 incentivisation with such a poorly understood

26 base line.

27

28 The next issue which I would regard as one

29 of my key concerns is delayed determination.

30 This is really going to drag on. We would like

31 to see it finish in time, but certainly not at

32 the cost of getting it done right. That is a

33 comment I would put for future reference; once we

34 are comfortable with our basis, we must start

35 these things on time and finish them on time.

36 The key point is that I do not believe either

37 party should be able to benefit from a delay in

38 producing a determination and therefore I commend

39 to the Tribunal that they consider seriously how

40 to have the effect of this determination from 1

41 July, but I do appreciate the problems that will

42 cause to individual customers.

43

44 Provision of information, that has pretty

45 much been done to death, but it does not mean we

46 do not support it extremely strongly.

47

48 Lack of information - no-one needs that.

49 That is the basis for the provision of

50 information.

51

52 (Overhead: "Information we do not have

53 and should")

54

55 This overhead shows the sort of information we

56 would have liked to have got and certainly the

57 sort of information that was contemplated when

58 the gas code was introduced. Without that

1 information, we cannot really do much; we can  
2 only suspect. From what little information we  
3 have, we have already found quite a number of  
4 concerns. I leave that to the Tribunal. Just  
5 to finish up on information, I suppose, if it  
6 really is not forthcoming, the Tribunal is free  
7 to produce its own determination.

8  
9 Asset valuation is another very key issue.  
10 The only thing that really stuck with me in  
11 Professor Johnstone's talk was that DORC was  
12 inappropriate. I can find very little to commend  
13 DORC. From a special perspective, it seems to  
14 jump around all over the place. It started off a  
15 couple of years ago at \$1.4 billion. I have seen  
16 it at \$2.2 billion and recently I have seen it at  
17 \$1.8 billion and \$1.7 billion. It seems to jumps  
18 around a lot and when it jumps around, it does so  
19 in massive sums of money. For any industry,  
20 hundreds of millions of dollars is a very large  
21 amount of money indeed, it builds whole  
22 pipelines.

23  
24 I just do not think that we can contemplate  
25 DORC. It seems to also have another spin-off in  
26 that it encourages something called current cost  
27 accounting. I do not properly understand it. It  
28 does seem to permit an asset to inflate with  
29 time, but it still seems to let depreciation  
30 happen and it seems to let depreciation itself  
31 inflate with time. I believe that would cause  
32 an awful lot of problems, so I think DORC is not  
33 appropriate.

34  
35 DORC may well have grown from a precedent in  
36 Australia in the electricity industry, where  
37 those kinds of concepts came with close  
38 involvement of state government, state  
39 treasuries, who have a vested interest in the  
40 valuation of their asset. Those determinations  
41 at those times have very little user input.  
42 Mercifully the gas deregulation process has had  
43 considerable gas user input.

44  
45 Only DAC will do. I think everything else  
46 is philosophy, variable, subjective, but DAC,  
47 depreciated actual cost, is not. DAC is what the  
48 competitive market uses. DAC is what everyone  
49 reports in their accounts. DAC is certain, DAC  
50 is simple, and there is precedent. There is a  
51 reluctance, I believe, for Australian  
52 jurisdictions to closely follow the US precedent,  
53 the Canadian precedent, but DAC is widely used  
54 over there. I put to you that a country that can  
55 put a man on the moon and can invent the Internet  
56 can probably get asset valuation right. Moving  
57 down the list, I come to transitional charges.  
58 These really defeat me.

1 (Overhead: "Price Shock")

2  
3 This seem to be some kind of a straight line  
4 tax and the difference I have estimated is the  
5 transmission charge. It seems to be necessary  
6 for various parties in the industry to avoid rate  
7 shocks.

8  
9 (Overhead: "The Real Price Shock")

10  
11 As Crocodile Dundee once said, "That is not  
12 a rate shock; this is a rate shock". I am just  
13 putting that up as our example, but everyone is  
14 well aware that the same thing is happening with  
15 zinc, it is happening with wool, it is happening  
16 with sugar. If we are going to emulate  
17 competitive industry, we will see those kinds of  
18 graphs and variations. It's a fact of life. I  
19 do not see why anyone needs to be protected from  
20 it. In particular, I would really appreciate if  
21 someone could explain to me why Incitec must pay  
22 Gas Networks \$1.3m next year for this  
23 transitional charge, I do not understand why we  
24 must pay AGL that much money. It is an awful lot  
25 of money.

26  
27 Moving down on the key issues, we come to  
28 real costs. Again I am going to seize on the  
29 example of marketing. I know everyone else has  
30 used it, but to be honest, it is the only real  
31 cost we can see that is separate that we can  
32 comment on. I will use it just as an example.

33  
34 I think some \$37m or \$38m of marketing costs  
35 have been incurred. As best I can follow the  
36 trail of calculations through the access  
37 arrangement, some of that is applied to the  
38 transmission line from Wilton to Newcastle. To  
39 be honest, we do not need to have that line  
40 promoted to us. We know it is there: we know it  
41 is there because we helped pay for it. I have  
42 done a calculation and I believe that we must  
43 have paid \$300,000 and we have been invited to  
44 pay a further \$300,000 each year for the  
45 promotion of that line to ourselves. The only  
46 evidence I have seen of that is some sandwiches.  
47 I would like the record to show that Incitec has  
48 not had a free lunch.

49  
50 There is another cost too which I have  
51 gleaned from the AGL Retail Energy submission  
52 where there seems to be a cost in IT for  
53 producing customer profiles for would-be  
54 retailers. They, not unnaturally, do not want to  
55 pay that cost. Well, neither do we. If we are  
56 paying for it, we would like to opt out. We  
57 would be quite happy to put our information on  
58 our web site or contribute to someone else's web

1 site. As I said, these are examples only. We  
2 have attempted to calculate the contract revenue  
3 applicable to this business and we find it very  
4 hard to come up with a figure of more than \$30m.  
5 Of course, everyone is aware that the figure that  
6 is being proposed is something like \$87m,  
7 declining to \$70m, so there is a real task there  
8 to work out what that difference is and then  
9 remove it.

10  
11 (Overhead: "Average Australian Pipeline  
12 Tariffs")

13  
14 This nonetheless is how we have done our own  
15 benchmark, it actually grows off someone else's  
16 but I think that referred back to ours anyway. I  
17 am sorry that those figures are not so clear.  
18 The column on the right is the cents per hundred  
19 kilometre equivalent that Incitec is being  
20 invited to pay AGL for the Sydney to Newcastle  
21 haulage.

22  
23 The next column, reading from the right, is  
24 the AGL pipeline in Queensland and the next one  
25 is our calculation of our own tariff based on  
26 very generous WACC of 10 per cent and an asset  
27 valuation we do not accept. So really the  
28 difference is quite incredible.

29  
30 I might draw the attention of the Tribunal  
31 to the series of determinations. The first draft  
32 invited us to pay 14 times what we thought we had  
33 to pay. The final draft reduced that to about  
34 four times. This one is about twice. I think  
35 the Tribunal will understand our enthusiasm for  
36 more and frequent determinations.

37  
38 Finally, in what we see are the key issues  
39 we have the capital payments. They will not go  
40 away. We spent \$12.4m on the Horsley Park to  
41 Walsh Point pipeline in 1982 dollars. The line  
42 itself cost \$83.4m. That was an actual cost, an  
43 AC, if I can contribute another acronym to the  
44 jargon. The Tribunal disallowed that as a  
45 consideration for reducing our tariff. The  
46 reasons were not closely understood, but they  
47 seemed to boil down to the fact that if the  
48 recipient of that money was forced to fritter it  
49 away, then it probably was not paid in the first  
50 place; or, secondly, that we probably got some  
51 benefit anyway, we just do not know what it is.  
52 This is in spite of the fact that tariffs in  
53 those days pre-regulation were higher than they  
54 are now. As a minimum, of course, it is very  
55 insensitive to have the market required to pay a  
56 WACC and a depreciation charge on capital it has  
57 already put in. Those are the key issues.  
58

1 (Overhead: "What the Regulators Must Do")

2  
3 We are not short of advice either for the  
4 Tribunal. Overall, we are recommending that the  
5 Tribunal should adopt an active approach. I do  
6 not think the Tribunal should be afraid to step  
7 outside of current precedent as applied in this  
8 country. Without information disclosure, there  
9 is nothing. It must happen and it must happen to  
10 the full extent provided by the legislation.

11  
12 We have separately provided the regulator  
13 with our own legal opinion for its own benefit.  
14 If it has to be fought through the courts, so be  
15 it, but without that information, we will get  
16 very second-rate regulation.

17  
18 Transition payments - what can you say  
19 except refuse to accept them. It is iniquitous  
20 that industries such as ours should have to pay.  
21 I heard the same stories from other industries  
22 yesterday, who said "What on earth are we doing  
23 paying those charges? Let's stop them". We  
24 believe the regulators should drop DORC,  
25 percentage after DORC and simply adopt DAC. We  
26 understand that a different WACC is appropriate  
27 to DAC. That is nonetheless our strong  
28 recommendation and this is an area where I  
29 believe this regulator can and should be  
30 interventionist.

31  
32 For my company, it is absolutely mandatory  
33 that we slash costs, we have been quite  
34 successful. We are not going to survive unless  
35 we do. This process must continue and we can see  
36 an awful lot of bloat in this particular cost in  
37 getting gas from Wilton to Newcastle. The  
38 capital contribution question must be addressed.

39  
40 I have not raised before the issue of  
41 stranded cost, which we hope to develop. Very  
42 briefly, the line from Horsley Park to Newcastle  
43 was designed to handle 30PJ. I do not think that  
44 it has ever handled more than 22PJ and it is  
45 currently sitting at 20PJ. The question will be  
46 who pays for those other 10PJ?

47  
48 That finishes my presentation, Mr Chairman.  
49 The whole thing is not funny. This is a deadly  
50 serious enterprise and the future of industries  
51 such as ours really hangs on it, let alone the  
52 introduction of new industry into this State. I  
53 will conclude there. Thank you very much.

54  
55 THE CHAIRMAN: Thank you very much, Jim. Thank you  
56 for your submission and thank you for coming down  
57 today.

58



1 I cannot resist talking again about capital  
2 contributions. I think we discussed them last  
3 time. The reality seems to me to have been that  
4 whatever negotiations were entered into by your  
5 company and other companies with AGL, as it then  
6 was, to make a capital connection towards getting  
7 a pipeline to deliver gas, it was well before  
8 open access, it was well before this type of  
9 regulation. I would imagine that there was some  
10 commercial decision about the contribution which,  
11 in some way, was part of whatever agreement was  
12 there between you and AGL to deliver gas. I am  
13 hearing you say that that was one-sided, it was  
14 not reflected in price, it was not reflected in  
15 the commercial outcomes. That is the difficulty  
16 I have with understanding that particular aspect  
17 of the capital contributions to date. Can you  
18 help me understand a little bit better.  
19  
20 MR McLEOD: I have to have regard for the  
21 confidentiality of the agreement that we entered  
22 into with AGL, but I do not think AGL would mind  
23 my making a couple of statements. Our tariff was  
24 not entered into, and in addition to that tariff  
25 and separate from it was a further tariff such  
26 that if there was a blowout in capital, then  
27 we would pay half, which did happen and we paid.  
28 So the tariffs were already set. If that is not  
29 an adequate answer, I can go into more depth  
30 outside this meeting.  
31  
32 THE CHAIRMAN: We might do that. The only other issue  
33 for me is the five-year term from your  
34 perspective - and I think others have raised it -  
35 being perhaps too long, particularly given the  
36 uncertainties of the market apart from perhaps a  
37 pure selfish aversion to having too many and too  
38 frequent versions of this hearing, as much as we  
39 enjoy it. There is an argument as to certainty  
40 for players in terms of having a view about what  
41 the market conditions under access may well be.  
42  
43 Perhaps the corollary to that is the  
44 question: what about the use of triggers and  
45 rather than go to a shorter term, as I understand  
46 the code allows, what about building in some  
47 triggers? It was mentioned yesterday by NCOSS or  
48 PIAC as an option and I think they were looking  
49 at volume triggers. Is that an alternative?  
50  
51 MR McLEOD: I would have guessed that triggers and  
52 certainty are opposite circumstances. If you  
53 have triggers, then you have uncertainty. I do  
54 not know that it is sensible to talk about  
55 certainty over a five-year period. That is a  
56 long way in the future. I appreciate that AGL  
57 would gain certainty. Our contribution to that  
58 would be we do not mind certainty for two years,

1 but we would rather the lower cost beyond that  
2 and wear the uncertainty. I just cannot see how  
3 you can move forward five years with the  
4 uncertain base that we are starting from.  
5

6 It may well be in North America that the  
7 trans-Canada pipeline can have a three-year  
8 determination, but that is based on many  
9 determinations to form the base. As I understand  
10 it, all parties are happy with the information,  
11 the base, the asset valuation, everything, and  
12 they are quite happy to move on. But we  
13 certainly do not have that here.  
14

15 THE CHAIRMAN: Thank you,  
16

17 MR COX: There are just a couple of things I would  
18 like to understand a bit better if I could. I  
19 think you mentioned that the justifiable revenue  
20 environment for contract market was in the order  
21 of \$30m a year. Can you explain how you made  
22 that assessment?  
23

24 MR McLEOD: Well, you have DAC or you have DORC or you  
25 have 7 per cent or you have 10 per cent and you  
26 put benchmark costs on top of that and you get a  
27 figure roughly like that. I am sorry, I have not  
28 done this in great detail. I would be delighted  
29 to respond to you with some calculations.  
30

31 MR COX: If you could, I think that could certainly  
32 help us. We have heard a fair deal yesterday  
33 about the shift of costs from the trunk system to  
34 the local network. I do not know whether you  
35 were here. I would imagine that you were a  
36 beneficiary of that, is that correct, and that  
37 perhaps explains why, if I understand what you  
38 are saying correctly, the result of AGL's  
39 proposal would be, in fact, reduced tariffs for  
40 you; is that correct?  
41

42 MR McLEOD: Well, I certainly would not want to  
43 benefit at the expense of pensioners and those  
44 other people we are hearing about. We are going  
45 from, say, three times or four times what we  
46 ought to pay to twice what we ought to pay. As  
47 for shifting costs, the comment can only be that  
48 they are all far too high. If you had proper  
49 costing, then I do not think the tariff market  
50 would have anything like the concern it is  
51 rightly expressing. If the right costs were  
52 available, then I would guess we would not need  
53 to talk about contention between contract and  
54 tariff market; they would be happy with their  
55 prices. That is a supposition.  
56

57 THE CHAIRMAN: We will have a break for about 15 minutes.  
58 (Short adjournment)

1 ENERGYAUSTRALIA

2

3 THE CHAIRMAN: We will resume with the representatives  
4 EnergyAustralia. Please identify yourselves for  
5 the record and we will proceed.

6

7 MR MALTABAROW: Thank you, Mr Chairman. My name is  
8 George Maltabarow. I am general manager finance  
9 and corporate secretary of EnergyAustralia. My  
10 colleague is Michael Martinson, who is the  
11 manager strategic support at EnergyAustralia.  
12 Most of you are probably familiar with  
13 EnergyAustralia, but I might take a few minutes  
14 to outline who we are.

15

16 (Overhead: "Who is EnergyAustralia?")

17

18 We have the largest electricity network and  
19 we are the largest retail electricity supplier in  
20 Australia. I hesitate to say what our asset  
21 values are, but for today's purposes, let us say  
22 \$4 billion. We have a staff of around 3,000;  
23 around 1.3 million customers; 2.9m people are  
24 served in our areas, which cover about 22,000  
25 square kilometres; our sales are about 21,000  
26 gigawatt hours, which represents 42 per cent of  
27 the New South Wales electricity sales and about  
28 15 per cent of the national market. Our number  
29 of customers, I might add, represents around 20  
30 per cent of the national electricity market.

31

32 EnergyAustralia was formed not in 1898, as  
33 the slide says, but in 1996, by the merger of  
34 Orion Energy and Sydney Electricity.  
35 EnergyAustralia is a statutory state-owned  
36 corporation.

37

38 (Overhead: "EA - An Integrated Energy Company")

39

40 The next slide is fairly interesting from  
41 our point of view. It illustrates our service  
42 area and that of AGL. 25 per cent of our  
43 1.3 million electricity customers are gas users.  
44 EnergyAustralia has considerable retail  
45 expertise, which it is able to bring to gas  
46 retailing. It would also, given the scale of  
47 that retail operation, be able to bring  
48 significant economies of scale to bear.

49

50 I might also stress that our mandate is  
51 energy not just electricity. In fact, the  
52 establishment of the legislation makes that  
53 fairly clear. If we put those things together,  
54 we would submit that that gives us a very  
55 powerful case to have access to a competitive  
56 gas market.

57

58

.1/4/99 (2) 129 ENERGYAUSTRALIA

1 (Overhead: "National Competition Principles")

2

3 Most people in the room would be aware that,  
4 under the COAG framework, there is a national  
5 competition principles agreement, to which New  
6 South Wales is a signatory and the State has  
7 obligations under that agreement. The area of  
8 the agreement covers the limitation of  
9 anti-competitive conduct of firms, reform of  
10 regulations, which unjustifiably restrict  
11 competition, the reform of the structure of  
12 public monopolies to facilitate competition, the  
13 provision of third-party access to certain  
14 facilities that are essential for competition,  
15 the restraint of monopoly pricing behaviour, and  
16 fostering a competitive neutrality between  
17 government and private businesses where they  
18 compete.

19

20 (Overhead: "IPART's Competition Mandate")

21

22 We come now to IPART's competition mandate,  
23 which I accept in a legal sense is not as simple  
24 as what might be depicted on this slide.  
25 Nevertheless, there is a Gas Supply Act, whose  
26 objectives are to encourage the development of a  
27 competitive market in gas and the regulation of  
28 gas reticulation and gas supply to promote  
29 customer choice.

30

31 In respect of the attainment of those  
32 objectives, there is an overall framework within  
33 which we would submit that IPART would need to do  
34 more than approve the requirements of the code  
35 and could take an active part in championing  
36 competition and meeting the State's competition  
37 mandate.

38

39 At this stage I would like to hand over the  
40 presentation to Michael Martinson, who will deal  
41 with some of the specific issues related to  
42 access and in particular some of the impacts of  
43 any delays to access arrangements.

44

45 (Overhead: "Delays to Access Arrangement")

46

47 MR MARTINSON: I would like to talk about some of the  
48 specifics of the access arrangements. Over the  
49 last couple of days, most of the issues have been  
50 addressed by almost everyone. I will not bore  
51 you by going through the details of everything  
52 again, but there are some key points that  
53 EnergyAustralia would certainly like to address  
54 and the first one is delays to the access  
55 arrangement.

56

57 The passage that is up on the screen has  
58 been taken from the AGL Retail submission,

.1/4/99 (2) 130 ENERGYAUSTRALIA

1 basically saying that they do not know what will  
2 happen if IPART does not make a decision on the  
3 access arrangement and make that decision  
4 effective before 1 October.

5  
6 EnergyAustralia clearly views that AGL  
7 benefits from any delays to having the access  
8 arrangements in place. There is uncertainty in  
9 the market, which advantages AGL. As may have  
10 been mentioned, all the customer contracts are  
11 structured to expire on 30 June 1999, so there  
12 really is uncertainty as to what will happen  
13 after 1 July this year.

14  
15 We would hope that there would be no benefit  
16 available to AGL because of the delay.  
17 Certainly, if there is a delay, we do not want to  
18 see all the customers locked up by AGL with long  
19 term contracts once the access arrangements are  
20 in place. From our perspective, we think the  
21 answer is not more delays; we would like to see  
22 something in place as soon as possible

23  
24 (Overhead: "Inter-Fuel Competition")

25  
26 One of the issues that I think every single  
27 submission has touched on is the marketing  
28 cross-subsidy or the level of operating costs in  
29 the marketing budget for AGL. EnergyAustralia  
30 welcomes inter-fuel competition. However, it has  
31 to be on a level playing field. We think that  
32 the amount of money of approximately \$1,000 per  
33 new connection on the AGL network really does  
34 skew the inter-fuel balance between electricity  
35 and gas. We certainly have some serious concerns  
36 over AGL Gas Networks' potential funding of AGL  
37 Retail's inter-fuel aspirations.

38  
39 The \$1,000 per customer is something that  
40 seems to be of similar value, anyway, to some of  
41 the numbers that have been thrown around for what  
42 has been valued for retail customers in the  
43 recent Victorian sales. The point is that if AGL  
44 thinks that \$1,000 per customer is needed, that  
45 is fine if they are willing to fund it. We do  
46 not think that the customer should be funding  
47 this initiative

48  
49 (Overhead: "Other Issues")

50  
51 We turn to some of the other issues. This  
52 is pretty much a well-trodden path, but  
53 interconnection, and other flexible services are  
54 needed. It seems apparent that will be a major  
55 pipeline connection into the AGL network within  
56 the next couple of years. We would obviously  
57 like to see reference services addressing that so  
58 that it happens efficiently and on an equitable

1 basis.

2  
3 From the reaction yesterday when AGL was  
4 mentioning that connection to the AGL network  
5 should happen by negotiation, I think there was a  
6 bit of scepticism as to whether or not that would  
7 happen on an efficient and equitable basis. So  
8 we would like to see some more clarity and  
9 transparency regarding how those additional  
10 services will happen.

11  
12 As Forcenergy mentioned yesterday, there  
13 needs to be more flexible options and trading  
14 needs to be allowed on the system in order to get  
15 the market happening and growth to occur.

16  
17 The next point on this slide refers to the  
18 growth forecasts. I think AGL has been very  
19 conservative. BHP, as mentioned in the  
20 Forcenergy presentation yesterday, have been able  
21 to grow the market. I think a more competitive  
22 gas market in New South Wales would really drive  
23 out inefficiencies, bring down the price and  
24 increase flexibility, and that package would be  
25 of benefit to customers. If that happens, if the  
26 market is competitive, you will get growth and it  
27 will not be through the inter-fuel  
28 cross-subsidy. At the end of the day, New South  
29 Wales benefits by making sure that growth happens  
30 and that competition is allowed to occur.

31  
32 (Overhead: "Other Issues")

33  
34 The other issue that I would like to touch  
35 on is the pricing structures. From  
36 EnergyAustralia's perspective, it does appear to  
37 be flawed. The process allows cost shifting  
38 between the tariff market and the contract  
39 market. One of the issues that Jim Cox  
40 identified yesterday was really how can the gas  
41 tariff market bear significant increases when the  
42 electricity industry may not see similar  
43 increases? I guess if BHPP and Incitec have  
44 mentioned what the contract market and the  
45 revenue requirement of that should be, maybe this  
46 is a non-issue if that is what the Tribunal  
47 adopts.

48  
49 The issue of price capping, I thought that  
50 was quite interesting, how it works and why it is  
51 there. One could maybe argue it is there to  
52 guard against potential bypass opportunities.  
53 However, as the Gas Advice group mentioned  
54 yesterday, there are ample bypass opportunities  
55 in the market, anyway. Clearly I think there  
56 needs to be more information and the Tribunal  
57 needs to look really closely at how the pricing  
58 structures are set up and hopefully there will be

1 cost reflectivity in the approach. Thank you very  
2 much.  
3  
4 (Overhead: "Conclusion")  
5  
6 MR MALTABAROW: Chairman, in conclusion, we would  
7 submit that IPART should drive competition.  
8 EnergyAustralia wants to be a player in a  
9 competitive energy industry. It can bring a  
10 retail expertise and very substantial economies  
11 of scale, but it does need a level playing  
12 field.  
13  
14 We submit that an access arrangement is  
15 certainly needed from 1 July 1999. Access  
16 arrangements are required to eliminate the \$1,000  
17 per customer inter-fuel marketing effective  
18 subsidy of AGL that Michael Martinson has  
19 referred to. We would also submit that there is  
20 a requirement for reference services to ensure  
21 that commercial negotiations are not delayed by  
22 the parties being unable to reach a close.  
23  
24 We believe that competition will deliver  
25 benefits to customers in the form of reduced  
26 prices and the increased flexibility and  
27 service. This is what the governments desired  
28 when they signed the competition principles  
29 agreement, and competition in gas is one of the  
30 fundamental goals, if you like, of that  
31 competition principles agreement. Thank you.  
32  
33 THE CHAIRMAN: Thank you very much for that and thank  
34 you for your submission. It is very useful to us  
35 to hear from not only another energy company but  
36 one that has expressed a potential interest in  
37 being a participant on the retail side of this  
38 part of the energy market.  
39  
40 I am not sure whether you heard this - if  
41 you have not, I would strongly recommended your  
42 reading the transcripts - but we have heard loud  
43 and clear from at least one other potential  
44 entrant from the wellhead end, if that is the  
45 correct technical term, and certainly from  
46 customers, their views about asset valuation and  
47 the impact of the DORC or ODRC asset valuation on  
48 prices for use of network.  
49  
50 I have to ask: in your submission, you do  
51 advocate or suggest that we do adopt a DORC asset  
52 valuation methodology. I wonder how you  
53 reconcile that with level playing field, low use  
54 of network charges, which you also call for as a  
55 potential entrant. It seems to be a disconnect.  
56  
57 MR MALTABAROW: I think we are entirely consistent.  
58 We have advocated DORC methodology in the

1 valuation of electricity network assets.  
2  
3 THE CHAIRMAN: Yes, I understand.  
4  
5 MR MALTABAROW: In terms of inter-fuel equity, I would  
6 submit that we are entirely consistent. I do not  
7 think it would be open for us to argue one thing for --  
8  
9 THE CHAIRMAN: No, probably not --  
10  
11 MR MALTABAROW: And we would fully expect that  
12 arguments of convenience like that would be  
13 rejected by the Tribunal.  
14  
15 THE CHAIRMAN: So even if it means that the use of  
16 network charge would, almost inevitably, be  
17 higher than through the use of some other method  
18 of valuing the initial capital base, as a  
19 potential competitive retailer, that is something  
20 that you see as customers pay; it does not cause  
21 a problem for you as a potential competitive  
22 retailer?  
23  
24 MR MALTABAROW: Well, I think the principles that  
25 underpin asset valuation have to be consistently  
26 applied and have some integrity.  
27  
28 THE CHAIRMAN: That is the main point.  
29  
30 MR MALTABAROW: That is the strength of our argument.  
31  
32 MR MARTINSON: Obviously EnergyAustralia's position on  
33 asset valuation is on the public record. It is  
34 in the submission that we put forward in  
35 EnergyAustralia's submission and the joint  
36 history submission. Again, I do not know whether  
37 it is appropriate to go through those at this  
38 point.  
39  
40 THE CHAIRMAN: No, thank you, George has certainly  
41 answered the question. The delay issue raises a  
42 couple of points, and we have heard from others  
43 about delay. If delay occurs, I have to say that  
44 the processes, probably rightly, at least in the  
45 early stages working under this code, will  
46 inevitably mean there will be a delay beyond the  
47 July 1 start. We reluctantly accept that.  
48  
49 There seems to be two issues, one is the  
50 benefit to the incumbent in terms of dollars.  
51 That is an issue that there have been submissions  
52 on. The more difficult one you have raised, and  
53 it has been suggested by others, is what if the  
54 incumbent is able to use the likelihood of delay  
55 and current contracts expiring to write long-term  
56 contracts and what effect might that have in  
57 terms of potential new entrants?  
58

1 I wonder whether you could help us  
2 understand some options for dealing with that and  
3 whether there are any lessons that might be  
4 learned from what happened to electricity as  
5 contestability was opened up and, indeed, what  
6 was the experience of electricity in terms of the  
7 nature of competitive behaviour by incumbents and  
8 new entrants.  
9  
10 MR MALTABAROW: May I make one observation before  
11 inviting Michael to pursue this further. In  
12 electricity, with the contestability unfolding,  
13 you had a situation where the jurisdictions were  
14 committed to contestability. Basically, at that  
15 stage, they owned the industry and certainly had  
16 control of the regulatory framework. I think the  
17 path to competition was much smoother because of  
18 that. That is a salient feature that  
19 distinguishes gas. In general terms, I think  
20 some sort of measures that mitigate the  
21 advantages of incumbency are required to make up  
22 for that. I do not profess to know in detail  
23 what specific measures should be taken, perhaps  
24 Michael does.  
25  
26 MR MARTINSON: In electricity there was not the issue  
27 of contestability, so far, being delayed and an  
28 issue being whether the incumbent may or may not  
29 have any advantages. I would like to say that in  
30 electricity, clearly the customers can get  
31 basically anything they want from the retail  
32 contracts depending on their individual  
33 circumstances, which clearly is something that is  
34 not available currently in the gas market.  
35 Anything beyond that, certainly EnergyAustralia  
36 would like to provide some options to the  
37 Tribunal on what some options to alleviate that  
38 would be.  
39  
40 THE CHAIRMAN: That would be helpful. Again if that  
41 were to be on the public record, it would be even  
42 more helpful. Finally from me, you make some  
43 comments on pricing structures, the sort of  
44 ultimate cascading down of the pot of cake  
45 dollars or caviar, whatever it is, to the  
46 structure of prices. As an energy participant  
47 with a network with a retail business in  
48 electricity, you have experience on that side.  
49 What views do you have about lessons or  
50 appropriate structure for pricing in use of gas  
51 network, the structural issue?  
52  
53 MR MARTINSON: For efficient pricing to take place, it  
54 needs to be cost reflective. Clearly in  
55 electricity, it is moving that way. I guess that  
56 is the issue in the case of gas; it does not seem  
57 as if it is cost reflective and that there is  
58 considerable scope for cost shifting. I think it

1 seems, in some way, that it is a system that has  
2 been designed but that had to be sort of tweaked  
3 at the edges in order to accommodate some new  
4 developing issues, bypass, being one in  
5 particular, and the price capping. So it is  
6 certainly time to have a look at pricing  
7 structure from start to finish and say, really  
8 from a cost reflective basis, how should it be  
9 established? That is what we do in electricity.  
10 We would expect a similar sort of process for  
11 gas.  
12  
13 THE CHAIRMAN: It is probably an area that we will yet  
14 again do more work on and the involvement of  
15 EnergyAustralia and others will be appreciated,  
16 thank you.  
17  
18 MR COX: Thank you very much for your submission. I  
19 was interested in the statement you made this  
20 morning to the effect that IPART must do more  
21 than simply approve what meets with the code.  
22 This contrasts the argument that was put forward  
23 by AGL yesterday which was to the effect that if  
24 the undertaking complies with the code, then we  
25 must prove it. I was wondering why you take this  
26 particular view of where our duty lies and what  
27 supporting analysis you can provide to us as to  
28 why we are, in fact, required to do that.  
29  
30 MR MALTABAROW: As I mentioned earlier, the legal  
31 framework is somewhat unclear. In a practical  
32 sense, if IPART merely took the view that it was  
33 going to approve arrangements under the code,  
34 there would be no driver for competition and in  
35 several years time, we would be exactly where we  
36 are now.  
37  
38 So I would be happy to take on board some of  
39 these legal issues and pursue them and I would be  
40 happy to pursue them further with government, but  
41 I was simply making the point that a passive  
42 regulator will not deliver competition, and the  
43 State has obligations to deliver competition. If  
44 the State cannot deliver it through one agency, I  
45 guess it has to look at which agency will be the  
46 driver to ensure that the goals that the State  
47 signed up to are achieved.  
48  
49 MR COX: If you were to develop further thoughts on  
50 that, they would certainly assist us, thank you.  
51 I cannot resist this question. You mentioned in  
52 your submission the importance of benchmarking  
53 AGL's operating costs. As you well know, and  
54 perhaps members of the audience do not, we have  
55 had prolonged controversies with your colleagues  
56 in EnergyAustralia and elsewhere in the  
57 electricity industry about precisely how one  
58 should benchmark the costs of electricity

1 distributed. Reflecting on that experience, how  
2 do you think we should do it for gas?  
3  
4 MR MARTINSON: There have been a few issues with  
5 benchmarking. At the end of the day,  
6 benchmarking certainly has a role.  
7 EnergyAustralia finds some difficulty with  
8 certain benchmarking results in their entirety in  
9 order to set prices. There is a role for  
10 benchmarking. Clearly the issue that you  
11 referred to in electricity gives us a bit of  
12 grief.  
13  
14 However, even the numbers that were  
15 presented by AGL themselves using benchmarking  
16 still really did not make them to look very  
17 good. To me, if benchmarking is going to be  
18 used, which I expect it will be in some capacity,  
19 that is fine, but we should recognise that there  
20 are some difficulties with benchmarking. Even  
21 given that, AGL's cost structures still do not  
22 look all that great.  
23  
24 MR COX: Thank you for that. Finally, there is the  
25 vexed question of the marketing costs of the  
26 network. I was wondering whether your experience  
27 in operating electricity networks gives you any  
28 insights as to what the levels of marketing costs  
29 for a network should be and to what extent those  
30 might be transferable to the gas network owned by  
31 AGL.  
32  
33 MR MARTINSON: I think that --  
34  
35 MR MALTABAROW: I would be inclined to take that on  
36 notice.  
37  
38 THE CHAIRMAN: Thank you very much indeed. There are  
39 a couple of issues on which we would welcome your  
40 coming back to us.  
41  
42 MR MALTABAROW: We will certainly come back on those  
43 three matters that were mentioned.  
44  
45 THE CHAIRMAN: Thank you very much. We now have  
46 Harrison Manufacturing.  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58

1 HARRISON MANUFACTURING  
2  
3 THE CHAIRMAN: Thank you for coming today, could you  
4 please identify yourself for the record and we  
5 will proceed.  
6  
7 DR MICHELL: My name is Richard Michell. I am  
8 director of marketing and operations for Harrison  
9 Manufacturing. I thank you very much for this  
10 opportunity to speak to you, which I must admit  
11 came as a complete surprise to me, following a  
12 two-page letter on the subject.  
13  
14 I did suspect, when I accepted the  
15 invitation, that I may be somewhat out of my  
16 depth. Once the agenda arrived, it just  
17 confirmed how deep that depth was. I do  
18 apologise, but I am speaking here as somebody  
19 reasonably ignorant about the subject at hand but  
20 certainly somebody who will be significantly  
21 influenced by the outcome.  
22  
23 THE CHAIRMAN: That is why you are here.  
24  
25 DR MICHELL: In order to try to achieve one objective,  
26 which I hope you do not think it is impetuous  
27 that I do not have to achieve, as an outsider I  
28 have attempted to wade through the various  
29 documentation. It does smack a little of a  
30 somewhat academic MBA approach to the subject and  
31 I just wish to remind everybody that out there  
32 there are some very real people in a very real  
33 world and that the world does not look  
34 necessarily like a Lotus or Excel spreadsheet.  
35 Maybe I am a little impudent, and I apologise,  
36 but that is my objective, to remind people that a  
37 lot of people out there are affected by the  
38 ultimate decisions made here.  
39  
40 Given that we are not a household name, very  
41 briefly, we are a privately owned family company  
42 established in 1923, we have just celebrated 75  
43 years. On the manufacturing side we employ 25  
44 people. That is a contrast obviously with the  
45 previous presentation.  
46  
47 Our business activities are that we are a  
48 toll manufacturer of lubricants, oils and  
49 greases. We actually make almost 20 per cent of  
50 Australia's grease requirements. We do not  
51 market under our own brand. We manufacture  
52 sulfurised oils, which is the reaction of sulphur  
53 with vegetable oils, and we toll manufacture  
54 fire-fighting foam concentrates and, for  
55 something different, we provide calcining and  
56 grinding of alumina.  
57  
58 Our turnover is \$12m per annum, 70 per cent

1 from within Australia and 30 per cent - this is a  
2 little bit out of date - from South East Asia.  
3 It is 15 per cent currently and coming back up,  
4 we trust.  
5  
6 So we are a micro drop in the Australian  
7 natural gas market. Our consumption, I have put  
8 there as at 1 August 1998, essentially the start  
9 of the new arrangement for us, was a consumption  
10 of 27 terajoules. The fraction of our  
11 manufacturing costs made up of natural gas was 15  
12 per cent. 60 per cent of that went into process  
13 heating and the break down is shown on this  
14 overhead for gas use.  
15  
16 Essentially overnight the new arrangement  
17 arrived. We were, as I say, essentially  
18 overnight given a 35 per cent increase in our gas  
19 cost and zero time to adjust to it. Our own  
20 management response - we are based at Brookvale,  
21 about 15 kilometres from where we are speaking  
22 today - overnight we were hit with this problem  
23 and we essentially shut down almost a third of  
24 our operation which was rendered uneconomic and  
25 laid off a couple of people. We installed gas  
26 use-rate monitoring equipment and we actually  
27 commenced, and will go ahead if necessary, with  
28 negotiations to actually truck in gas for peak  
29 smoothing.  
30  
31 I realise the costs that are contained  
32 within the various submissions relate to Networks  
33 but I would remind the audience and the Tribunal  
34 that there are perhaps costs a little wider than  
35 that, that there are societal costs and societal  
36 expectations. Most people had anticipated that  
37 it would be cheaper to bring gas in via pipelines  
38 than via a truck. None of these moves we have  
39 taken will result in a significant cost reduction  
40 until one year has expired because the MDQ, the  
41 fixed charge, represents 60 per cent of our gas  
42 bill today.  
43  
44 Graphically, as shown on this next overhead,  
45 again these are minuscule numbers compared with  
46 other people in the room but you will see what we  
47 have done on gas, although not a clever approach,  
48 largely shutting things down; and the next slide  
49 shows the cost where we were hit with the big  
50 spike and where to date we are back to a position  
51 of reducing gas by 25 per cent and we are still  
52 10 or 15 per cent up in cost.  
53  
54 I am also very aware that I am speaking on  
55 the current arrangement and I should be speaking  
56 on the proposed one, but again my objective is  
57 perhaps slightly different to the Tribunal's.  
58 The entire source of our problem comes from where

1 we happen to have built our plant. This next  
2 slide shows that in fact we are downstream of the  
3 Willoughby regulator station. The network charge  
4 there is 130 times as high as the charge at  
5 Horsley Park. Horsley Park may be considered a  
6 one off. It is ten times as high as Auburn  
7 Flemington and typically five times as high as  
8 most other locations across Sydney.  
9  
10 Our problem or our simple plea is that, if  
11 it is the desire to stop natural gas use in the  
12 Brookvale area, we would have pleaded for some  
13 time to have made more reasonable responses to  
14 what was done.  
15  
16 I would point out that although we would  
17 support the general concept of cost recovery, we  
18 have a problem with the fact that I guess AGL  
19 Network has been able to recover all of its costs  
20 and all of its inefficiencies. No one asked it  
21 to build these networks and, if these  
22 inefficiencies were already there, what a  
23 wonderful scenario to be presented with, that you  
24 can suddenly recover it all from your customers  
25 in one hit. To come along with a 35 per cent  
26 price increase and be able to do it behind the  
27 umbrella or shield of the Tribunal, no one else I  
28 do not think could approach any customer with  
29 that sort of increase and say "pay it" and you  
30 have no alternative.  
31  
32 Coming briefly to the revised arrangement,  
33 which again I am about to demonstrate my large  
34 ignorance over most of it, we do support the cap,  
35 I guess for the obvious reason that with a  
36 contrast of a factor of 130 across Sydney it does  
37 make it very difficult to continue operations.  
38 We query whether it goes far enough. As I said  
39 earlier, there are societal and other reasons  
40 that need to be looked at because we see the  
41 postcode approach still allowing AGL to fully  
42 cost recover its partial mistakes at the expense  
43 of its customers and we see no apparent incentive  
44 for AGL to address all of the factors that led to  
45 that high cost, such as they have no incentive to  
46 begin more throughput, it would appear, no  
47 incentive to look at maintenance costs, et  
48 cetera. We will pay it all for them. We also  
49 question what their incentive is with a cap to go  
50 on maintaining that network.  
51  
52 I hope I have the terminology correct, as we  
53 see a potential managed category which is to be  
54 based on the highest single day MDQ of the  
55 previous year. That appears to be unnecessarily  
56 punitive and we would suggest a statistical  
57 approach, a more rationale approach which would  
58 say there is a 99 per cent chance or whatever of

1 you staying within that MDQ.

2

3 On the capacity reservation front, which we  
4 are on at the moment, we still see MDQ overruns  
5 as very, very punitive. In particular I mention  
6 that with South East Asia hopefully recovering,  
7 they penalise us enormously for increased working  
8 hours and we can see no apparent reason for  
9 that. If you have more business and you want to  
10 extend your working hours to later in the evening  
11 there would seem to be no capacity question, it  
12 is a compressible substance, it would seem to  
13 benefit both parties by greater utilisation of  
14 the infrastructure, greater utilisation of our  
15 asset, yet we would suddenly hit a very, very  
16 large cost penalty just for the simple fact of  
17 increasing working hours by perhaps 2 hours. You  
18 are only allowed to do it perhaps three or nine  
19 times a year. Is the real issue there MHQ rather  
20 than MDQ? If it is, we would rather move in  
21 that direction.

22

23 Finally, given particularly that we are at  
24 the moment way below our MDQ - I have no idea  
25 whether this is a factor anybody has discussed -  
26 I would be interested in the trading of MDQ.  
27 That would be a way of balancing out this three  
28 and nine day problem and it would be a way of  
29 getting benefit earlier if one does take steps to  
30 reduce gas. At the moment you are penalised if  
31 you reduce gas and if you want a managed category  
32 you would be rewarded if you increased gas.

33

34 That is all I have to say; and I thank you  
35 very much for the opportunity. I do apologise  
36 for taking up the time of so many people who know  
37 so much more about the topic than I.

38

39 THE CHAIRMAN: No apology is necessary; and thank you  
40 for coming because we have tended to hear indeed  
41 from perhaps the squeaky wheels and the large  
42 players in this game. It is very helpful to us  
43 to hear from smaller players.

44

45 Perhaps you can help me understand, because  
46 again I am not an engineer, the impact of the  
47 last determination. Certainly there seems to be  
48 a locational effect as AGL moved under the  
49 determination to a so-called "follow the  
50 molecule" design to be more cost reflective and  
51 therefore an effect in terms of where you sit in  
52 terms of the network and characteristics of the  
53 network. There is that bit.

54

55 The bit I do not really understand - you  
56 might be able to help me understand - is the  
57 impact of the MDQ arrangements. Are you able to  
58 tell us or do you indeed know what the different

1 impacts of location, change in pricing which  
2 reflects location, versus the MDQ arrangements  
3 were and are likely to be under the new proposal  
4 on your price paid.

5

6 DR MICHELL: I would like to be able to. For us the  
7 impact of the locational problem was just so  
8 massive that I guess it took up most of our  
9 attention. It almost didn't matter what we did  
10 on the rest of it, it was irrelevant. We did  
11 look carefully at the choice of MDQ, and this is  
12 the big lottery you are now in because I am not  
13 the expert, but essentially if you have three  
14 overruns you are into a penalty for that month  
15 irrespective of the size of the overrun; and if  
16 you have nine in a year you are into an ongoing  
17 penalty for the rest of the year.

18

19 THE CHAIRMAN: That applies equally to a relatively  
20 small player whose overrun will be a very small  
21 part of the system as it applies equally for a  
22 very large purchaser?

23

24 DR MICHELL: I assume it applies equally, as it is  
25 the same set of rules. Whether it is the same  
26 set of penalties, I believe it is, but it is an  
27 enormous sword hanging there, as I tried to  
28 indicate. If you are doing something like taking  
29 on new business, just want to extend two hours a  
30 day, suddenly there is this enormous penalty  
31 hanging over your head. You may only do it for a  
32 fortnight but you pay gas at that rate for the  
33 rest of the year.

34

35 THE CHAIRMAN: That is in the negotiation?

36

37 DR MICHELL: No. You can negotiate it up but not  
38 down, other than giving three months notice  
39 before the end of the contract.

40

41 THE CHAIRMAN: What did you do prior to access  
42 arrangements before this or was it not an issue?

43

44 DR MICHELL: We were on a contract with an agreed  
45 annual offtake and a penalty if you went below 80  
46 per cent of that and not a guarantee of supply if  
47 you went more than a certain amount above, but no  
48 cost penalty.

49

50 THE CHAIRMAN: No penalty other than the price you  
51 paid?

52

53 DR MICHELL: A cost penalty if you went below 80 per  
54 cent of your annual quantity.

55

56 THE CHAIRMAN: What would you prefer now?

57

58 DR MICHELL: I would turn the clock back about 18



1 months ago, but to come straight to the point,  
2 our gas bill went up enormously, by 35 to 40 per  
3 cent. Even with all the moves and all the new  
4 proposals on caps that gets us back, with one  
5 third less production, to essentially where we  
6 were 18 months ago. We would rather a system  
7 where, as I say, we understand cost recovery, we  
8 do not believe that the consumer should pay on  
9 day one all of the costs as we played no part in  
10 setting the network up. It is not transparent.  
11 The retailer will not show us the necessary costs  
12 of the network charge versus the trunk charge, so  
13 we see that as a problem. It is a societal  
14 problem, not just our own.

15  
16 In terms of what we would like, we would  
17 like more flexibility in the system, particularly  
18 if one takes a move which significantly reduces -  
19 which both parties agree reduces consumption, by  
20 shutting down a process. You get no benefit  
21 until the contract runs out. It is transparent  
22 to both parties why you have gone down. Equally  
23 if there is an increment due not just because you  
24 have tried to finetune it too much but because  
25 there is a genuine reason, it would seem to me  
26 there should be room for negotiation right back  
27 up the network.

28  
29 THE CHAIRMAN: Thank you very much.

30  
31 MR COX: Can I just ask you two questions: Have you  
32 had a chance to look at AGL's proposed new access  
33 arrangement and what it might mean for you?

34  
35 DR MICHELL: I have had a chance to look at it. If I  
36 can chance my arm again, I would strongly  
37 recommend that at future inquiries there also be  
38 a document put out, a much slimmer document,  
39 aimed at consumers because it is very, very  
40 difficult to work out the impact on yourself.  
41 Fairly easy to work out the straight-up network  
42 impact but very difficult to work out the other  
43 permutations and combinations.

44  
45 So, to answer your question, I am relying a  
46 large part on AGL retail, on the information it  
47 gives to me, and I do not like to be reliant on  
48 that information. I would like to look at it  
49 independently. We will be better off under  
50 capping as proposed. We will be back to about 15  
51 per cent above where we were before the  
52 arrangements were changed nine months ago.

53  
54 MR COX: You showed us this graph of a monthly dollar  
55 outlay which shows it shooting up and you brought  
56 it back, so as you are saying there will be a  
57 further reduction as capping comes into place and  
58 then your outlay will --

1  
2 DR MICHELL: There will be a further reduction under  
3 the current scenario because we are still running  
4 on historical MDQ. It is running at something  
5 like 115, yet our contract is 150, so we are  
6 suffering a significant penalty even though we  
7 have taken these steps. It will come back under  
8 that. Now, the figures I have been given from  
9 AGL retail compare with our current MDQ. They do  
10 not necessarily take into account what will be  
11 our new MDQ. Although I am answering the  
12 question that capping is better, it may not be  
13 under the new MDQ. Ultimately we would prefer to  
14 be in a more flexible system that does reflect  
15 your actual use and the actual costs.

16  
17 MR COX: Thank you.

18  
19 THE CHAIRMAN: Thank you very much. That really was  
20 most helpful. We will have a break until 2 o'clock.

21  
22 (Luncheon adjournment)

23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58

1 UPON RESUMPTION:  
2  
3 TOOHEYS  
4  
5 THE CHAIRMAN: Good afternoon, everybody. We will  
6 resume with Tooheys. Just identify yourself  
7 formally for the record and we will proceed.  
8  
9 MR STOCKLEY: My name is Cliff Stockley. I am team  
10 manager for energy services at Tooheys Brewery.  
11 Thanks for having me this afternoon. I will be  
12 giving a fairly short presentation. This is more  
13 from the point of view of Tooheys being a  
14 medium-size gas user.  
15  
16 (Overhead: "Tooheys Overview")  
17  
18 I will just give a brief overview of what I  
19 have prepared today. Our gas use is of the order  
20 of 260TJ a year. The costs are over \$1m. I am  
21 not sure where that ranks us as a gas user, but  
22 they are significant costs.  
23  
24 I am basically here to talk about  
25 seasonality as it affects our business and the  
26 undertaking rules, I guess, for MDQ and so on,  
27 and the gas price path and the timing of that,  
28 and network charges, in particular the postcode  
29 issues, and how we think that could affect  
30 Tooheys in the short term.  
31  
32 (Overhead: "Seasonality")  
33  
34 From the seasonality point of view, beer is  
35 produced mainly in summer, so we use more gas in  
36 summer and not as much in winter. I have a short  
37 graph to show you just to give you an idea of the  
38 usages.  
39  
40 (Overhead: "Tooheys Gas Usage is Seasonal")  
41  
42 I have cut off the winter usages just to  
43 show the peaks over the last four years. So  
44 around that September, October, November December  
45 period, we have gas peaks, and that is the nature  
46 of our business.  
47  
48 (Overhead: "Seasonality")  
49  
50 What does that mean for us? I guess it comes  
51 back to the current or the proposed MDQ or  
52 maximum daily quantity rules, I guess you would  
53 call them, in the proposed undertaking. We see  
54 this 12-month fixed ruling as negative as far as  
55 our business is concerned. It does not allow any  
56 flexibility for adjusting MDQ during the year for  
57 seasonality effects.  
58

1 The new managed capacity option uses the  
2 last 12 months history. Once again, that is very  
3 demanding for a company like us, because if you  
4 have one peak, one production breakdown or one  
5 issue on one particular day in the last  
6 12 months, you end up paying for it potentially  
7 for at least the next 12 months and possibly for  
8 longer than that.  
9  
10 I just pose the question: with our peaks  
11 being in summer, is there restriction on the  
12 network as far as getting gas to industry in  
13 those summer months? What is the logic of  
14 having such rigid MDQs? I have not seen any  
15 evidence of a gas restriction in summer months;  
16 whereas, in the winter months there may be gas  
17 pressure problems and so on with the network  
18 upstream from us. That was the seasonality  
19 aspect.  
20  
21 (Overhead: "Tooheys - MDQ Peaks Mainly Seasonal")  
22  
23 I have another graph here showing the MDQs,  
24 the maximum daily quantities. We analysed these  
25 figures over the last two years. We have  
26 actually had a substantial number over our  
27 contract nominated. I will just focus on the  
28 first section of the graph. Most of those  
29 occurred before we actually had signed the  
30 contract with AGL. AGL had not informed us that  
31 we had actually gone over the peak quantities,  
32 and that was after a four-month period.  
33  
34 Issues like that, I guess, are a problem for  
35 medium and larger organisations. You are being  
36 billed on something where AGL did not have  
37 systems in place to actually tell their customers  
38 what the maximum daily quantities were. I  
39 believe they do have systems in place now. We  
40 have certainly installed our own system at the  
41 expense of some \$20,000.  
42  
43 So we actually negotiated with AGL and got  
44 out of our overrun situation, and this shows  
45 where we are now. That is our MDQ. We have been  
46 virtually under our level for the last 12 months.  
47 So we can manage it if we know about it, but we  
48 prefer a seasonal MDQ approach or at least we  
49 would prefer to have more flexibility in the MDQ  
50 rules.  
51  
52 (Overhead: "Timing")  
53  
54 Timing issues - for us the indicative  
55 network prices actually show a price rise in July  
56 of 1999. Our understanding, with the transitions  
57 and so on, was that prices were still generally  
58 supposedly trending down at least over the next

1 12 months. We cannot see anything in the  
2 undertaking that explains why we would actually  
3 get a potential price rise in July.

4  
5 Basically with regard to the remaining \$87m  
6 transitional costs, we expected the removal of  
7 that over a 12-month period. From what I can  
8 understand in the undertaking, the removal of  
9 that last transition step as proposed is to occur  
10 over a three-year time period. So what effect  
11 does that have on us?

12  
13 (Overhead: "Network charges - We understood  
14 the remaining \$87m transition would remove  
15 over 1yr/not 3yrs")

16  
17 These are indicative prices, but I think  
18 they are there to present the way it affects  
19 Tooheys. Basically, this top line here is the  
20 proposed new undertaking and the bottom line was  
21 the 1997 undertaking. It appears to us that  
22 Tooheys will not see the savings from the revenue  
23 under the curve here, but potentially AGL will  
24 see more revenue. That is the timing issue for  
25 us.

26  
27 We were expecting savings over the next  
28 couple of years at least, but the new undertaking  
29 seems to negate some of those savings.  
30 Eventually we will get there, by the looks of it,  
31 but it will be another three years down the track  
32 and we just cannot understand that at all.

33  
34 (Overhead: "Timing")

35  
36 My last point on this slide was that we  
37 obviously have a gas contract with AGL Retail and  
38 with the July 1999 timing, that was supposedly  
39 the last step for removing of transitions. Our  
40 question is: will AGL be honouring - if that is  
41 the word; it is probably a strong word but I  
42 couldn't think of anything else - the price drop  
43 at July 1999 and perhaps adjust, if there are  
44 adjustments, when IPART makes a determination,  
45 which may be two, three or four months down the  
46 track?

47  
48 From our company's point of view, we budget  
49 at least 15 months ahead. We have actually  
50 budgeted that gas price drop into our cost  
51 structure for the next six or seven months.  
52 All I am saying is that, from our point of view,  
53 if there is an adjustment, we would rather see it  
54 at the end of the contract period rather than  
55 three-quarters of the way through the contract  
56 period.

57  
58

1 (Overhead: "The postcodes")

2  
3 The final issue I wanted to bringing up was  
4 the proposed postcodes and how it will affect  
5 Tooheys and maybe some other companies, I am not  
6 sure. I will go through the first part of this  
7 slide which refers to the apparent cost  
8 anomalies. Basically you have a chart here  
9 comparing the previous undertaking where the  
10 network charges were really proportional to the  
11 pipeline distance from the nearest pressure  
12 reducing station and they are quite clearly laid  
13 out in the coloured maps in the 1997 undertaking.

14  
15 (Overhead: "Postcode - Gas Network Changes")

16  
17 We found that Flemington, which is postcode  
18 2140, was actually zero distance from the  
19 pressure reducing station and the indicative  
20 costs are \$0 to \$100. In the new undertaking, it  
21 is quoted at \$472, which is a substantial  
22 variance. I am not sure whether the maths are  
23 quite right there, but it is certainly an upward  
24 trend.

25  
26 If we go downstream in kilometres from the  
27 pressure reducing station, Homebush, which was \$0  
28 to \$100, is now proposed to be \$472. Next is  
29 Tooheys. Obviously, with our location, we were  
30 in that range. The proposed undertaking for us  
31 is a network price rise of between a 6 per cent  
32 and 17 per cent. Rosehill, which was towards the  
33 end of the pipeline, was the most expensive. It  
34 has now almost become the cheapest. I could not  
35 find postcode 2143, but it is obviously in that  
36 area, and it is \$114.

37  
38 We just cannot understand the logic. The  
39 undertaking does not explain where these numbers  
40 come from. That is obviously the cost driver  
41 that is driving or may drive our gas costs up  
42 after July. That is basically all I have to  
43 say.

44  
45 In summary, we were expecting gas prices to  
46 continue reducing as far as the network  
47 components are concerned and the current  
48 undertaking seems to mean that there is a step  
49 rise and it looks like that step rise will not be  
50 filtered out until the next three years, which is  
51 cost to us and revenue to AGL Networks.

52  
53 THE CHAIRMAN: Thank you very much. We will just  
54 pursue a couple of issues with you. I note your  
55 seasonal MDQ issues, and you are a summer  
56 manufacturing business. My recollection is that,  
57 with some additional costs, tradeable capacity is  
58 allowed under the current arrangement. Is that

1 something that you explored; that is, trading  
2 capacity with a winter peak user of gas?  
3  
4 MR STOCKLEY: When we looked at that option, it still  
5 has, if I could call it, strings attached. It  
6 looks back over the last 12 months and if there  
7 is one high MDQ day, that is what your MDQ has to  
8 be based on for the next 12 months.  
9  
10 THE CHAIRMAN: So that would not have helped? Trading  
11 capacity would not have helped?  
12  
13 MR STOCKLEY: Not with looking at one day. There may  
14 be some scope there if it was a little bit more  
15 flexible.  
16  
17 THE CHAIRMAN: As you point out, from July this year  
18 your contract with AGL Retail expires. Have you  
19 had any indication from Retail as to what is  
20 likely to happen? Have you had discussions with  
21 Retail that you may be able to share with us  
22 about what does happen after that?  
23  
24 MR STOCKLEY: Basically, the indications we received  
25 were we got an indicative price graph, but around  
26 that July period, it was a bit vague. Our  
27 understanding is that the next price drop that we  
28 expected actually will now not be forthcoming  
29 pending IPART's decisions. With the existing  
30 undertaking as it stands, we actually will not  
31 see a price drop; we will see a price rise. But  
32 for our industry, we have set our budgets, our  
33 forecasts and our plans expecting a price drop in  
34 July and from the concept that there is a  
35 contract there, albeit that it was signed almost  
36 two years ago, we would be interested in seeing  
37 out the term of the contract and if there are  
38 adjustments, that they occur at the end of the  
39 term of the contract.  
40  
41 THE CHAIRMAN: But does the contract roll forward in  
42 the absence of anything new or do you have to  
43 write a new contract?  
44  
45 MR STOCKLEY: We could roll it on, but I do not think  
46 that would be our preferred position until we  
47 know exactly what our price path will be.  
48  
49 We have a couple of other options on our  
50 site. They are future options but we could  
51 actually stop using gas altogether in the future,  
52 change to a coal situation. It will cost us  
53 money but they are the types of issues that we  
54 look at for the longer term, three or five years  
55 out.  
56  
57 THE CHAIRMAN: Is there a bypass option?  
58

1 MR STOCKLEY: There is a bypass option. I mentioned  
2 that in the letter to the Tribunal. The costs on  
3 that option really are not feasible for us. It  
4 is kind of a grey area because we do not know  
5 which way it will go. If it is postcode, it is  
6 definitely not an option for us. If we can  
7 negotiate with AGL, it may still be an option for  
8 us.  
9  
10 THE CHAIRMAN: I understand. Thank you very much.  
11  
12 MR COX: I just have a couple of questions. You  
13 mentioned that the MDQ arrangements are very  
14 inflexible in New South Wales. Are you aware  
15 from any discussions with your colleagues in  
16 other jurisdictions whether things are more  
17 flexible elsewhere and whether there are any good  
18 models that you can point us to elsewhere where  
19 it is working well?  
20  
21 MR STOCKLEY: No. Our parent company is Lion Nathan  
22 Beverages. We have sister breweries in Adelaide  
23 and --  
24  
25 MR COX: And Melbourne and so on?  
26  
27 MR STOCKLEY: Not Melbourne, that is our opposition.  
28 But we have mainly Adelaide and Perth and the  
29 XXXX Brewery in Brisbane. Brisbane uses coal, so  
30 they do not use natural gas. In Western  
31 Australia, there has been a bit of activity as  
32 far as gas is concerned. I guess our brewery  
33 site there was fortunate in that there has been a  
34 new pipeline or a new pipeline is under  
35 construction, so their gas price virtually  
36 dropped overnight. They are actually paying less  
37 than we are. I think they paid about \$3 a  
38 gigajoule more than us up to six months ago. In  
39 South Australia, our Adelaide site has the  
40 cheapest gas in the group. Even after this  
41 undertaking, Adelaide prices are still cheaper  
42 than ours. I think that goes back to when the  
43 Moomba to Adelaide pipeline was built. I do not  
44 know how many years ago that was, but certainly  
45 the pricing in Adelaide is a lot more favourable.  
46  
47 MR COX: What about Auckland, as a matter of  
48 interest? What about Auckland in New Zealand?  
49  
50 MR STOCKLEY: Auckland, I couldn't answer that. They  
51 certainly use gas. I do not know. I am not  
52 aware of the pricing.  
53  
54 MR COX: I was interested, particularly from the MDQ  
55 aspect, in finding out whether there is a good  
56 model where that is being handled well. It would  
57 be of interest to us if you knew of it.  
58

1 MR STOCKLEY: No, I have not examined that aspect  
2 from the Auckland or New Zealand point of view.  
3  
4 MR COX: I think I understand the points you are  
5 making, so thank you very much for your  
6 submission.  
7  
8 THE CHAIRMAN: Thank you very much indeed. It seems  
9 an interesting juxtaposition to ask the  
10 Department of Health to come up after Tooheys.

11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58

1 DEPARTMENT OF HEALTH  
2  
3 THE CHAIRMAN: Thanks for coming today and thanks for  
4 your submission. Could you just identify  
5 yourselves for the record and we will proceed.  
6  
7 MR HAWKINS: Jim Hawkins, director administration of  
8 commercial services with the Department of  
9 Health. On my right is Jim Snow, a consultant  
10 from Energetics, and John McCarney, who is  
11 manager of business development of Northern  
12 Sydney Health Area Service is to my left.  
13  
14 The Department of Health virtually handles  
15 the policy aspects and liaison with government  
16 and the area health services are actually the  
17 direct service providers, so John will in fact  
18 give the presentation on behalf of New South  
19 Wales Health.

20  
21 (Overhead: "NSW Health")  
22

23 MR McCARNEY: Whilst the Department of Health is  
24 responsible for the delivery of health care in  
25 New South Wales, the actual delivery of it takes  
26 place through 17 area health services. Those  
27 area health services deliver tertiary, secondary  
28 and community health service to the population of  
29 New South Wales.

30  
31 To give you an understanding of what Health  
32 is, we could say that the number of in-patients  
33 that are treated in the State is 1.346m, the  
34 number of out-patients is just under 22m, and we  
35 employ roughly 78,500 staff. The scope of those  
36 services taking gas ranges from the Hunter to the  
37 Greater Murray and west to Bathurst. You can see  
38 that we actually encompass a fair amount of the  
39 AGL gas network.

40  
41 As I said earlier, of those 17 area health  
42 services, 12 take contract gas. In those 12  
43 health services there are 31 contract sites  
44 ranging in size between 10TJ and 200TJ, ACQ, a  
45 total of 1,400TJ, and the average MDQ is 210GJ.

46  
47 (Overhead: "New South Wales Health II").  
48

49 In relation to the revenue structure of AGL  
50 Gas Networks, we believe we pay 5 per cent of AGL  
51 contract revenue. Our total contract gas cost is  
52 \$9.5m, under the last IPART agreement, and the  
53 Department of Health's total energy cost for  
54 electricity, LPG, contract and tariff gas is \$53m  
55 per annum.

56  
57 I want to stress that we have literally  
58 hundreds and hundreds of tariff accounts as well

1 as those 31. I do not know exactly how many we  
2 have, but we have a lot.

3  
4 (Overhead: "AGL Arrangement")

5  
6 Health did not get terribly involved in the  
7 previous IPART agreement. In retrospect, that  
8 was unfortunate. We were involved in other  
9 things at the time, but it was only when the  
10 impact of the last IPART agreement became evident  
11 to us that we actually started to get involved.

12  
13 With respect to this AGL arrangement, I wish  
14 to say a couple of things. It is good that AGL  
15 has begun cost cutting and has responded to some  
16 of the issues which we raised back in December  
17 1998 in our first document on that  
18 determination. I think we would have to admit  
19 that we do not have the detailed knowledge that  
20 IPART has in particular in relation to the  
21 valuation of the pipeline.

22  
23 I came in yesterday just to listen to see  
24 what would happen in a place like this and heard  
25 a professor explaining the reconciliation between  
26 accounting and economic values and DORCs and ORCs  
27 and DACs. I understand it and read it, but it  
28 seems to leave me fairly soon afterwards.

29  
30 The ICB sought in the AGL arrangement is  
31 much higher than the 1997 IPART determination.  
32 It seems to me quite unusual that, in such a  
33 brief period of time, a valuation can change to  
34 such a degree without any cash being paid in  
35 relation to it.

36  
37 I also note in recent times that IPART made  
38 a determination on that Great Southern decision  
39 in which they claimed that they gave 82 per cent  
40 of the DORC. On reading the previous  
41 determination, I think 86 per cent was the figure  
42 you gave from AGL.

43  
44 I wish to make two points: first, it seems  
45 to me that the valuation seems to be somewhere in  
46 that range of 82 per cent and 86 per cent, but I  
47 want to stress that we should spend time to get  
48 this right. If it is going to go on for five  
49 years, it is absolutely critical that we get it  
50 right because we do not want to go through this  
51 the next time round, so we have a need for  
52 certainty

53  
54 (Overhead: "Contract Market Revenues")

55  
56 This is purely just an observation. After  
57 the determination came out, we read some of the  
58 previous submissions to try to get an

1 understanding of what it was about. In that  
2 particular example we note that the Boral company  
3 estimated that a comparable market contract  
4 revenue would be in the vicinity of \$50m. We  
5 know, under this arrangement now, that the figure  
6 will ramp down from \$87m set by IPART to \$70m in  
7 the years 2002 and 2003. When one looks at the  
8 potential cross-subsidisation that we will talk  
9 about later on and takes that from the \$80m, it  
10 seems the Boral estimate cannot be too far out.

11  
12 Also at that time, BHP came out with a fully  
13 distributed calculation using DAC and they tried  
14 to justify a market of \$17m. From our point of  
15 view, we will certainly talk about how a  
16 stand-alone contract comes against Health. If  
17 you did have that one, it would be to the  
18 benefit, I think, of both the tariff and contract  
19 segments of the market.

20  
21 (Overhead: "NSW Health GN Issues 1")

22  
23 The next slides deal with some of the major  
24 points Health wishes to make with regard to what  
25 resulted from the first IPART decision. We have  
26 to take health services directly to where the  
27 people live. It is particularly important, in  
28 order that we get equity of access, that hospital  
29 services, community health services, whatever  
30 they are, be located where the people are.

31  
32 In the stand-alone situation, we actually  
33 have to pay the full cost of gas being delivered  
34 to the community in which the bulk of our  
35 hospitals exist. We have to be careful. I speak  
36 from one area health service perspective, but I  
37 know there are two health services who do get the  
38 benefit of contract customers, and I am saying  
39 that, in the main, the majority of people are  
40 having to pay the full costs of the pipeline to  
41 them.

42  
43 It is unreasonable that the amount of  
44 revenue generated by tariff customers at least  
45 could not be used to offset some of the costs  
46 that come into the hospital. We are not like  
47 energy dependent industries. They can place  
48 their plant alongside a pipeline or can take it  
49 to a State with cheaper energy costs. We have to  
50 put our hospitals and services where the people  
51 are. We are not able to move things around.  
52 Some of our hospitals are worth hundreds of  
53 millions of dollars and we need them to be there  
54 for 50 or 100 years.

55  
56 Just in that particular vein, as the  
57 previous speaker mentioned, we believe we have a  
58 very strong seasonality of consumption. In the

1 four months of winter we use approximately  
2 250 per cent more than we do for the rest of the  
3 year. We believe that there is some need for  
4 some flexibility of MDQ that brings that into  
5 account. Individual hospitals with hard-working  
6 engineers and what have you are attempting to get  
7 their MDQ down, but when they see it takes  
8 12 months for any effect to come through, it is a  
9 long way off.

10  
11 Unfortunately in Health we tend to be fairly  
12 short term in some of these things, so it is hard  
13 for those people to focus on something that will  
14 take 12 months to come through. We believe  
15 strongly that at least twice a year you should be  
16 able to change your MDQ. I do not profess to  
17 have a great understanding of it, but it  
18 certainly happens in some other industries, and I  
19 cannot see why it cannot be done in this case.

20  
21 I also want to say that in terms of capping,  
22 the AGL arrangement does not talk about capping.  
23 In our submission, which is a lot more complete  
24 than these points, we raised the point that we  
25 first heard of capping from an AGL Retail  
26 discussion on the arrangement. When they were  
27 asked where the numbers came from, they said the  
28 Network people.

29  
30 I think you need to clarify within this  
31 determination the \$5.50 that we have at the  
32 moment for capping down to the range of capping  
33 that has been alleged to be available. That  
34 needs to be done. It has an amazing influence on  
35 Health and I will show you that towards the end  
36 of the presentation.

37  
38 (Overhead: "NSW Health Issues 2")

39  
40 I know this next point has been raised by  
41 other people, but if we have a stand-alone  
42 situation, I am at a loss to understand how a  
43 significant amount of the marketing costs that  
44 contract customers are paying can be paid to AGL  
45 Retail. It is a subsidy for them to grow retail  
46 market through the tariff. They should grow the  
47 tariff market either through the tariff or  
48 through their shareholding. They should not be  
49 using my contract money to do that.

50  
51 They say in the arrangement that they could  
52 not possibly bring their costs down any more; yet  
53 I understand some of their administrative costs  
54 are still high by interstate benchmarks. I think  
55 they should look at that and I think this  
56 determination should tie them to benchmarks.

57  
58 With respect to fuel substitution, since the

1 last IPART determination, most hospitals have  
2 been severely hit by the increased cost of fuel  
3 distribution. Many of them have gone out and  
4 looked at the capacity to cap through LPG direct  
5 or synthesise, and coal. We have developed the  
6 business cases to do that.

7  
8 In many instances, even though those cases  
9 have been put to AGL Network, I only know of one  
10 area health service that has been successful in a  
11 non-reference price. I had trouble even being  
12 able to put the case. But the point is that  
13 Health believes very strongly in the quality of  
14 the environment that we live in. We have come  
15 from a coal base. We are unlikely to go back to  
16 a coal base purely for commercial reasons. We  
17 promote things like wellness and good health. We  
18 are not about to pollute the atmosphere with  
19 fuels that are not as efficient as gas, and we do  
20 not really see why we should have to pay that  
21 individually. I think it is more of a general  
22 society issue, not just one for Health.

23  
24 The last point on this page, which is linked  
25 to fuel substitution, is the issue of ring  
26 fencing and separation. I read the previous  
27 determination and it talked about how people will  
28 be good to each other and how the number of the  
29 bypasses will be seen to be a sign of how well  
30 they have done.

31  
32 I want you to be aware that you really have  
33 to be there to understand how difficult it is to  
34 talk to AGL Network. For a long time, they would  
35 not discuss anything with me because they said  
36 the determination was an arrangement between the  
37 retail arm of AGL and themselves, or any other of  
38 their retail people, and that it had nothing to  
39 do with me and I was not their customer.

40  
41 I think you will find that attitude has  
42 softened slightly in recent times, but it is  
43 extremely difficult to get anyone to even look at  
44 a case for a non-reference price. As I said, I  
45 know of one area health service that got a case  
46 through, but there was a bypass option being  
47 offered at the time and maybe that is the reason  
48 why they did it.

49  
50 I think these disputes should be resolved in  
51 a cost effective way so that it puts the onus  
52 between Retail and Network and that they do not  
53 have to compete against each other. We need a  
54 third party to get in there in a cost effective  
55 way to resolve disputes.

56  
57 (Overhead: "NSW Health Issues 3")

58

1 With the second IPART determination - we  
2 should have reached the stage now whereby we have  
3 had two years of trying to understand it - it  
4 seems strange to me that we will have a  
5 transitional charge situation over the next  
6 years. It seems that there will be a continued  
7 cross-subsidisation issue if it takes three years  
8 for us to actually get to lower prices.

9  
10 The last point I wanted to raise on that  
11 slide is that this determination is due on 1 July  
12 1999. Health would request resolution within  
13 that time or that some interim arrangement be put  
14 in place to ensure that the early advantages to  
15 Health are realised.

16  
17 I have raised with AGL Retail that if they  
18 are offering at least the capping to take place  
19 now, and that is before the determination has  
20 been made, that at the very least that should be  
21 their interim, if there is a delay in this  
22 determination. That has not been decided yet and  
23 a letter has gone to the Network company, but we  
24 have not had any decision back.

25  
26 We are concerned that the significant amount  
27 of money we are expending now will continue on if  
28 the determination goes to January. We believe  
29 that some interim arrangement will be required if  
30 that does take place.

31  
32 (Overhead: "Table 1. Cost to NSW Health of  
33 Using Capacity Reservation Service")

34  
35 This graph is difficult to see and I do  
36 apologise to you. This graph shows the 12 area  
37 health services on the left-hand side in the  
38 first column. The next column shows what we are  
39 paying at the moment under the existing IPART  
40 arrangement, and the amount is \$9.5m. The next  
41 column would show under the arrangement that we  
42 would be paying \$9.0m, so there is a reduction of  
43 roughly half a million dollars to Health under  
44 the arrangement. Under that, some hospitals will  
45 gain some advantage under postcodes but  
46 significantly more do not.

47  
48 Then under the capping, which is the third  
49 arrow to the right - and this is just to show you  
50 how important the capping is to Health, and to  
51 the majority - there is \$1m savings in the first  
52 year, there is \$1.1m in the second year and, from  
53 memory, it is roughly \$1.3m in the third year.  
54 Those are savings to health on the existing  
55 arrangement through IPART.

56  
57 In conclusion, on behalf of Health I would  
58 like to say thank you for the assistance given to

1 us by our consultants and Jim Snow from  
2 Energetics and Col Ericson, my colleague from  
3 Western Sydney Health, who helped in this  
4 submission. Thank you very much

5  
6 THE CHAIRMAN: Thanks for that. Thank you for your  
7 submission and for assisting us in this  
8 exercise. I believe that in your submission,  
9 although you did not raise it today, you did  
10 raise the issue of capital contributions which  
11 has been raised by others. Just a point of  
12 clarification - has Health made capital  
13 contributions to network extensions?

14  
15 MR McCARNEY: I come from the Northern Sydney Area  
16 Health Service. In putting this together,  
17 because we only got this information a couple of  
18 days before the closure, we were not able to  
19 question all those people as to whether they have  
20 made contribution. I know that Northern has made  
21 none. My understanding, from engineers, who have  
22 said that some contributions have been made, is  
23 that there are one or two of them.

24  
25 THE CHAIRMAN: As a matter of principle in something --

26  
27 MR McCARNEY: We think that is fairly important. I  
28 cannot for the life of me see why you would pay  
29 for the full cost of the pipeline if you pay for  
30 part of it and the contribution must come back as  
31 revenue or you get a discounted rate.

32  
33 THE CHAIRMAN: I should actually have made a point of  
34 clarification for the record. The Tribunal, in  
35 its draft and final determination on Great  
36 Southern Networks, set an initial capital base.  
37 It may have coincided with 82 per cent of the  
38 value of DORC on the particular day the DORC was  
39 measured - it may have been a cold day; it may  
40 have been a warm day - but we did not set an  
41 82 per cent value of DORC. It was a coincident  
42 in terms of initial capital base which happened  
43 to be some percentage of something else. That is  
44 important for the record. I was very interested  
45 in your comments about dealings with AGL  
46 Networks. Perhaps to draw out a little from your  
47 dealings with AGL Retail, how does that compare  
48 with electricity where I presume you have some  
49 contestable sites, and I do not know but I would  
50 assume you have some incumbent networks and  
51 retailers who aren't associated with a network.

52  
53 MR McCARNEY: I think I can say that Health set up  
54 sometime ago an energy working party and all the  
55 area health services came together. It was more  
56 of an exchange of ideas and to help people come  
57 to grips with deregulation a couple of years  
58 ago. We individually went out to tender for



1 electricity back at the time of deregulation and  
2 the majority of the health services did  
3 particularly well.

4  
5 Once again, I can just talk about Northern  
6 Sydney Health Service where I belong and some of  
7 the anecdotal things I hear from that energy  
8 working party. In Northern, the people who won  
9 the tender are the distribution people, so we  
10 didn't have that particular problem.

11  
12 From what I can gather almost everywhere, it  
13 was won by the local people. They went out of  
14 their way, because the local hospitals are the  
15 largest employers of people, so at the moment  
16 health is going out to a "whole of health" tender  
17 that is being advertised at the moment and it is  
18 obvious if that takes place that there will be a  
19 significant number of people who will have a  
20 different retailer to distribution people.

21  
22 THE CHAIRMAN: Do you have direct dealings with the  
23 network company for electricity as opposed to the  
24 retail distributor?

25  
26 MR McCARNEY: To be honest with you, it is just  
27 through Northern, the same people won the tender  
28 at that particular time so EnergyAustralia was  
29 our distribution and retailer, so we deal with  
30 them. Even so, there are some problems sometimes  
31 because of the distance between them. We tend to  
32 work through the retail arm but sometimes have to  
33 work direct with the distribution arm of  
34 EnergyAustralia to make sure we get the point  
35 across.

36  
37 THE CHAIRMAN: I have also have picked up your points  
38 about flexibility of the MDQ issues and the  
39 structure pricing, and thank you for that.

40  
41 MR COX: Thank you very much. You explained that you  
42 are both a participant in the contract market and  
43 the tariff market and you said you are spending  
44 in the order of \$9m a year on your various  
45 contract items. Do you have any idea how much  
46 you may be paying in the tariff market?

47  
48 MR McCARNEY: I just have to express my ignorance in  
49 that I am terribly sorry, I just know that at  
50 Northern, we have only just completed about six  
51 months ago a database of all the gas accounts so  
52 I would imagine perhaps somebody at area health  
53 may not know that. We intend to know it and it  
54 is one of the things that the energy working  
55 party has asked for but we do not know. There  
56 are literally hundreds and hundreds.

57  
58 MR COX: Last time I think we felt that the

1 Department of Health may well have been  
2 disadvantaged by the access undertaking which  
3 tended to disfavour those at the end of long-line  
4 pipes, so we understand why you are in the  
5 position you are in. I am wondering to what  
6 extent the shift to a postcode method of cost  
7 allocation actually helps you?

8  
9 MR McCARNEY: Across the 30 sites I honestly do not  
10 know. I can tell you that at Northern we have  
11 six sites, four of them were disadvantaged and  
12 two were advantaged, so when we talk on behalf of  
13 Health you have to understand that some of them  
14 are disadvantaged and some are not. We are not  
15 going to come out and say, "You should do this or  
16 do that", the principle seems to be okay, it is  
17 just that the result was not that good.

18  
19 MR COX: You mentioned that you thought the \$17m  
20 stand-alone cost for the contract market would be  
21 a fair thing, both for the tariff market and  
22 contract market. Can you explain how you came to  
23 that judgment?

24  
25 MR McCARNEY: It just struck me that in reading the  
26 submissions that went before, what I thought they  
27 were saying was that there was a faulty  
28 distribution cost, if you didn't have a  
29 stand-alone methodology that they came back to  
30 the fact it was \$17m. I do not know if that is  
31 right or wrong but if that was the case it seemed  
32 to me that certainly we would be advantaged by  
33 using that DAC method.

34  
35 MR COX: You are really using what seems to be a fair  
36 thing.

37  
38 MR McCARNEY: It would be worthwhile if we at least  
39 had a look at it to see what impact that would  
40 have for people on the fringe at the moment.

41  
42 MR COX: Finally, I wish to turn to the issue of  
43 capping. I do not want you to breach commercial  
44 confidentiality, but if you could explain to us a  
45 bit how it actually works that might be of some  
46 assistance.

47  
48 MR McCARNEY: To explain how it works, at the moment,  
49 for example, in the Northern Sydney Area Health  
50 Service there are three hospitals where the cost  
51 exceeds \$5.50 and so their cost is capped at  
52 \$5.50. It is not a huge amount of money but it  
53 is some money. Under this other capping, I have  
54 not got the figures.

55  
56 MR SNOW: It would be somewhere about 3.50, 3.70, so  
57 you are seeing an enormous drop of almost \$20.

58

1  
2 MR McCARNEY: There was a range of \$3 to \$6 if you  
3 were over 100 terajoules, up to \$3.80 I think if  
4 you were over 10, so it was a significant saving  
5 to us.

6  
7 THE CHAIRMAN: Thank you very much indeed. Next we  
8 will hear from AGL Gas Networks.

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48  
49  
50  
51  
52  
53  
54  
55  
56  
57  
58

1 AGL GAS NETWORKS

2  
3 THE CHAIRMAN: We now have AGL Gas Networks back for  
4 I guess a further presentation and perhaps to  
5 address some of the issues that have been raised  
6 in the past two days. I will ask you to identify  
7 yourselves again for the record.

8  
9 MR HARVEY: Chris Harvey, Manager, Regulatory  
10 Affairs, Gas Networks for AGL; and Mr Bruce  
11 Connery, General Manager, Regulatory Affairs for  
12 AGL.

13  
14 The Tribunal has asked to us respond today  
15 to three matters, and we will address these  
16 before making any closing comments. The first  
17 matter was gas balancing, and we believe two  
18 issues have been raised. Firstly, there appears  
19 to be a concern that balancing is overly  
20 complex. Gas Networks knows that balancing  
21 procedures are complicated. However, a balancing  
22 process is necessary to encourage users to ensure  
23 the quantity of gas they withdraw in order to  
24 avoid the need for interruption to customers. In  
25 the case of a network the complexity is a  
26 consequence of designing a system which sends the  
27 correct signals to users to be in balance while  
28 at the same time being fair to all participants.

29  
30 Secondly, there appears to be a  
31 misunderstanding in the submissions that  
32 balancing is site specific and is therefore  
33 restrictive. Users under the access arrangement  
34 will generally be retailers supplying numerous  
35 sites. Under the existing and proposed access  
36 arrangement retailers can aggregate those sites  
37 for balancing purposes, thus alleviating the  
38 problem.

39  
40 The next matter is trading policy. The  
41 proposed access arrangement reflects the intent  
42 of the code by permitting assignment of capacity  
43 and change of receipt and delivery points except  
44 where this is not technically or commercially  
45 reasonable. Gas Networks has not offered the  
46 ability to trade capacity as a reference service  
47 because in a diverse network, usage in one  
48 location generally has no relationship with usage  
49 in another location. That is, not using capacity  
50 in one section of the network does not release  
51 capacity on another section. However, where  
52 circumstances are such that capacity trading does  
53 make sense this could be part of the negotiated  
54 service.

55  
56 The last matter is the participation of Gas  
57 Networks in the New South Wales Energy Ombudsmans  
58 scheme. The Energy Ombudsman is primarily

1 established to deal with disputes between  
2 electricity companies and the franchise  
3 customers. The Gas Code establishes a mechanism  
4 for resolving disputes between network operators  
5 and users by referring them to the Tribunal for  
6 arbitration.

7  
8 In relation to disputes between gas  
9 retailers and their customers, the consumer  
10 protection regulations require retailers to  
11 provide a dispute resolution scheme in their  
12 customer service code.

13  
14 There are two other matters which have  
15 arisen over the last two days that we would like  
16 to address. There have been references to AGL's  
17 revaluation. This is an incorrect interpretation  
18 of the code. The establishing of valuation, the  
19 initial capital base, is a requirement of the  
20 code and applies to every service provider. The  
21 code anticipates that initial capital base will  
22 normally fall between DAC and DORC and lists  
23 factors which must be taken into account in  
24 consideration of determining the landing between  
25 DAC and DORC.

26  
27 Gas Networks has addressed the factors in  
28 the code and has considered the way in which  
29 regulators have determined those matters in  
30 recent decisions in proposing its base between  
31 DAC and DORC and consistent with those factors.

32  
33 Secondly, there have been suggestions that  
34 the existence of bypass opportunities is evidence  
35 that the pricing structure proposed by Gas  
36 Networks is deficient. Gas Networks believes  
37 that whatever pricing structure is adopted there  
38 will be some opportunity for bypass because the  
39 focus of network design and optimisation has been  
40 minimisation of cost to a group of customers in  
41 aggregate.

42  
43 It did not have the effect of minimising the  
44 cost of serving individual sites. It seems  
45 incongruous that an individual can choose to join  
46 the group and reap the benefits when it suits  
47 that individual and then leave the group when it  
48 does not suit. The effect of availability of  
49 partial bypass is that network operators will in  
50 the future design networks to minimise bypass  
51 exposures. This is unlikely to lead to  
52 economically efficient outcomes.

53  
54 An additional point: While we consider that  
55 price capping is important in moderating some of  
56 the locational impacts it will tend to increase  
57 the number of opportunities for bypass.  
58

1 We would like to make several general  
2 observations about the nature of this process.  
3 The submissions and these two days of hearings  
4 have raised many issues which will be addressed  
5 by the Tribunal. The code establishes objectives  
6 which conflict in their implementation and it  
7 gives the Tribunal discretion to determine how  
8 those competing objectives will be reconciled.  
9 Gas Networks recognises the role of public  
10 submissions and these hearings as a means of  
11 assisting the Tribunal in exercising that  
12 discretion.

13  
14 The consultative process under the code is  
15 by its very nature adversarial. As a result,  
16 users in their submissions put forward views of  
17 the access arrangement and code which most  
18 closely align with their interests. One of the  
19 results of the adversarial nature of the process  
20 is that where a participant's interpretation of  
21 the code suits their argument the Tribunal is  
22 urged to ensure compliance with the code.  
23 Conversely, where the code does not suit their  
24 argument participants are asking the Tribunal to  
25 require changes to the access arrangement which  
26 effectively require a rewriting of the code.

27  
28 I will give just three examples of this:  
29 Firstly, it has been suggested that there should  
30 be a reference service for every possible service  
31 which might be sought by any potential user.  
32 However, the scheme of the code is to provide  
33 sufficient prescription to produce the potential  
34 for arbitration while allowing flexibility for  
35 parties to negotiate contracts within an  
36 appropriate framework. Reference services for  
37 the services likely to be sought by a significant  
38 part of the market establish that framework and  
39 negotiation remains a cornerstone of the access  
40 regime.

41  
42 Next it is asserted that discounts given to  
43 customers should be recoverable in reference  
44 tariffs. It should not be recoverable in  
45 reference tariffs. However, the code  
46 specifically recognises the need to allow  
47 recovery of prudent discounts.

48  
49 Another claim is that as the trunk lines are  
50 gas transmission lines they should be regulated  
51 by the ACCC. This overlooks the New South Wales  
52 derogations to the code which require the trunk  
53 lines to be treated as part of the distribution  
54 system and to be regulated by the Tribunal.

55  
56 Clearly the role of the regulator is to  
57 implement, not rewrite, the code. While there  
58 would be merit in some arguments which users have

1 presented these would require a rewriting of the  
2 code. They are therefore not relevant to the  
3 review of this access arrangement.

4  
5 In recognising the nature of the review  
6 process Gas Networks accepts that participants  
7 will promote their own interests through code  
8 requirements. However, it is inappropriate that  
9 Gas Networks is alleged to have failed to comply  
10 with the code where the real complaint is that  
11 the participant is not satisfied by the outcome  
12 of the access arrangement.

13  
14 Further, Gas Networks would like to put on  
15 the record its strong objection to the misuse of  
16 this process to make allegations of illegal  
17 behaviour on its part. We do not intend to  
18 address this matter further here except to  
19 categorically refute such allegations.

20  
21 In closing, the submissions have identified  
22 many issues arising from the proposed access  
23 arrangement, including issues on which the  
24 Tribunal has indicated that it will focus. The  
25 Tribunal has indicated it will seek independent  
26 verification of information provided by  
27 participants, and Gas Networks will continue  
28 working with the Tribunal and its consultants in  
29 the course of the Tribunal's investigations of  
30 these areas.

31  
32 Finally, we wish to reiterate our belief  
33 that Gas Networks has complied with the code in  
34 relation to the preparation of the access  
35 arrangement and the provision of information to  
36 the Tribunal and the market. While there have  
37 been and will continue to be differing  
38 interpretations as to the information  
39 requirements of the code and valuation and  
40 allocation methodologies, Gas Networks has  
41 submitted a proposed access arrangement which  
42 falls within the parameters established under the  
43 code and which provides a fair and reasonable  
44 basis for open access to its network.

45  
46 Thanks for this opportunity to speak to you.

47  
48 THE CHAIRMAN: Thanks very much. Having talked about  
49 asset valuation, rates of return and all these  
50 economic things for so many years, I am actually  
51 going to ask some clarification questions on  
52 technical things like gas balancing and MDQ,  
53 which I find terribly exciting.

54  
55 To the extent that I think I understand gas  
56 balancing, and I may not completely, what struck  
57 me was the example I think from Harrison  
58 Manufacturing - and presumably that is typical of

1 fairly small users of gas, but still contract  
2 customers - if I understand correctly what he was  
3 saying, and your point about aggregation by  
4 retailers is potentially quite relevant here, he  
5 faces the same sorts of restrictions and  
6 penalties if he overruns outside of what is  
7 allowed by what is ultimately a very small amount  
8 and a very small proportion of the total and, if  
9 I understood him correctly, they are the same  
10 sort of penalties as a large contract customer  
11 who will overrun again against those rules.

12  
13 Is that factually correct? And a second  
14 question, is it right, is it factually correct  
15 and does it actually work that way?

16  
17 MR CONNERY: If I can just perhaps clarify a little,  
18 gas balancing is not about capacity or about MDQ  
19 or overruns, gas balancing is about the input of  
20 the commodity equalling the output. It is not  
21 about capacity and transport and the whole design  
22 of gas balancing is to provide an incentive for  
23 each individual user to put into the network what  
24 it withdraws on a day because a consequence of  
25 there being a shortfall is that the pipeline or  
26 the network loses pressure and it does not have a  
27 lot of capacity or line pack in it and, when it  
28 starts to lose pressure, to maintain the  
29 operational capacity one has to interrupt some  
30 customer. It could well be a customer who is  
31 doing the right thing in putting the right amount  
32 of gas into the system, so in other environments,  
33 perhaps in North America, you might have storage  
34 near the demand centre and that would mean you  
35 would not have the same issues with gas balancing  
36 because if there is a shortfall on the day you  
37 can actually withdraw from that storage and put  
38 it in. But with the supply being fairly remote  
39 from the market, a long pipeline, it is hard to  
40 ensure that we will be able to achieve that  
41 balance unless people put in the right amounts of  
42 gas.

43  
44 THE CHAIRMAN: Am I right in my understanding, which  
45 is that the very small user who is unlikely to  
46 have such a large impact on the total balance  
47 compared to a large user faces the same set of  
48 rules and penalties?

49  
50 MR CONNERY: The rules are the same but they have  
51 been specifically designed to try to moderate the  
52 impact of imbalances on small users. That  
53 actually explains a fair amount of the  
54 complexity. We agree, there is no question, it  
55 is complex, but it has been designed to try to  
56 moderate the impact on small users.

57  
58 THE CHAIRMAN: Probably that is an area that we might

1 try to explore in seeing what happens elsewhere.  
2  
3 MR CONNERY: We are not surprised on that.  
4  
5 THE CHAIRMAN: On the trading and the MDQs, to the  
6 extent that I understand it, the main thing that  
7 worries me, that puzzles me, is in a system that  
8 appears to have a fair degree of excess capacity  
9 what is the issue? Why do we get so excited  
10 about MDQs if we have that much excess capacity  
11 in the network?  
12  
13 MR CONNERY: There is excess capacity in parts of the  
14 network, not in all parts. I think this is the  
15 issue, that we have imported a lot of terms which  
16 are more relevant to pipelines, transmission  
17 pipelines, than they are to networks in terms of  
18 what services should be provided. Networks just  
19 do not have the same capability. They are  
20 perhaps a little more like an electricity network  
21 than they are a gas pipeline in the sense of the  
22 sorts of flexibilities and how they operate.  
23  
24 As I think Chris mentioned, the fact that  
25 someone is using capacity in one part of the  
26 network, it could be Liverpool, does not actually  
27 increase the capacity of the system in  
28 Strathfield because they are remote from each  
29 other. That is where the complexities arise.  
30  
31 THE CHAIRMAN: Again, perhaps naively, it seems to me  
32 if there are opportunities for seasonal trading  
33 which do align with where there are constraints  
34 on the network, the system should be designed to  
35 actually encourage that rather than put cost  
36 penalties on that trade?  
37  
38 MR CONNERY: One of the difficulties with that I  
39 guess is the very nature of the way in which we  
40 and others have tried to reflect cost  
41 reflectivity by using a maximum daily quantity as  
42 the measure. Once you start to offer services  
43 which are available for a shorter period than  
44 that then clearly customers, or supply retailers,  
45 will - so would you or I - start to manage their  
46 profile to follow that and then you have  
47 effectively got to start looking at a whole  
48 different pricing structure.  
49  
50 THE CHAIRMAN: One of the messages coming out was - I  
51 paraphrase some who were here the last few days -  
52 we can live with it but we believe there is scope  
53 and benefit for more flexibility in the way the  
54 MDQ works. Do you think there is some scope to  
55 actually develop greater flexibility in the way a  
56 MDQ type arrangement works?  
57  
58 MR CONNERY: I would have to leave it to people who

1 are more expert than me on how much flexibility  
2 within a MDQ system. It does bring rigidities,  
3 no question.  
4  
5 THE CHAIRMAN: Postcode: I asked you yesterday about  
6 the tariff structure implications and I think you  
7 answered, yes, we would like to hear suggestions,  
8 because you are not necessarily locked into  
9 anything as being necessarily the only correct  
10 way of doing it. Over the last few days we have  
11 heard examples of the problems of different types  
12 of price structures. Nothing new. With the  
13 benefit of those two days, any further thoughts  
14 on perhaps the way it works?  
15  
16 MR CONNERY: That is another one that really goes to  
17 the very foundation of the proposed access  
18 arrangement and we would like a little more time  
19 to consider that.  
20  
21 THE CHAIRMAN: I accept that. Again, it is something  
22 that is clearly on the table. One of the other  
23 issues I think we have all been aware of for a  
24 while is that with the best will in the world,  
25 and perhaps even with a better code, we still  
26 won't get an approved access arrangement out by  
27 July 1 when the current arrangement expires and  
28 that issue has been raised by several people in  
29 the last two days. Does AGL Networks have a view  
30 as to what happens after 1 July until we sort  
31 this out?  
32  
33 MR CONNERY: I think in a pure, if I might use the  
34 word, pure legal sense then, as you say, the  
35 access arrangement concludes as of the end of  
36 June and no access arrangement applies from 1  
37 July until such time as the Tribunal approves an  
38 access arrangement. You have asked, what are the  
39 options that might be available? Without having  
40 explored those in great detail, the options that  
41 come to our mind are that there could be some  
42 form of undertaking from Gas Networks in relation  
43 to the continuance of the existing access  
44 arrangement and its pricing structure.  
45  
46 Another alternative could be an undertaking  
47 that related to the adoption of the proposals  
48 that are before the Tribunal at this moment. We  
49 know none of those are the answers that people  
50 necessarily want to hear but it is very, very  
51 difficult to think of other alternatives.  
52  
53 THE CHAIRMAN: I think it is easier to think of other  
54 alternatives.  
55  
56 MR CONNERY: Yes, and we may need someone to rule on  
57 where they might lay.  
58

1 THE CHAIRMAN: Yet another issue to explore.  
2  
3 MR COX: I would just like to explore the point you  
4 raised about people trying to rewrite the code.  
5 I understand the point you are making, that most  
6 people are self-interested. We understand that.  
7 The issue has been raised, however, what exactly  
8 should be in the reference service suite and how  
9 do we decide that issue? You may not want to  
10 answer that now but it is an important issue that  
11 we have to grapple with.  
12  
13 MR CONNERY: We could make at least an early response  
14 and we could provide you with a fuller answer no  
15 doubt in the future. But the code does - I do  
16 not have the exact words in front of me, I would  
17 feel more comfortable if I did - it provides that  
18 there be provided a reference service which  
19 reflects the services that a significant part of  
20 the market would seek. Then it does provide for  
21 the opportunity for negotiated services to cover  
22 a whole range of different parameters that users  
23 may need to meet their specific needs.  
24  
25 MR COX: It probably depends on the meaning of  
26 important words like "significant", which is a  
27 difficult issue.  
28  
29 MR CONNERY: It is, but once you start to open it up  
30 and have a reference tariff for everything I  
31 think you move away from what the intention of  
32 the code is, not only that it becomes very, very  
33 difficult to determine what price one applies to  
34 each of the various services.  
35  
36 THE CHAIRMAN: The words apparently are "each service  
37 that is likely to be sought by a significant part  
38 of the market for which the relevant regulator  
39 considers a reference tariff should be  
40 included". The follow up question I have is, and  
41 there is judgment about what a significant part  
42 of the market is about before even worrying about  
43 what definition of the market is, but if it was  
44 the case that a number of players put on the  
45 table their proposals for what was appropriate  
46 and, as required by the code, subject to the  
47 regulator's views on that, will that help us move  
48 towards a sensible resolution, I stress sensible,  
49 I hear what you are saying, that we do not want  
50 3000 possible services?  
51  
52 MR CONNERY: I think it is a matter that clearly the  
53 Tribunal will explore, I know it will, and in  
54 those considerations I know you will look at the  
55 whole area and look at it in the context of the  
56 whole code because we have not had time to look  
57 at that in that context. I am sure you will look  
58 at the issues that arise with how does one

1 project how much volume will be sold on this  
2 particular bit and how much on that and how do  
3 you work out tariffs. All those things need to  
4 be considered.  
5  
6 MR COX: There are a number of issues we would like  
7 to know more about. You may not be able to  
8 respond now but perhaps later. Issues of price  
9 capping and how that works. You have heard a  
10 certain amount about that today. We are  
11 interested in your view on that and the  
12 importance of that. The forecast volumes. The  
13 revenue allocation between the trunk and the  
14 local network, how that works. And, finally, the  
15 impact on customers, including contract  
16 customers. These are issues we would like to  
17 pursue with you and understand better than we do  
18 at the moment.  
19  
20 MR CONNERY: I suspect that any answer that we might  
21 be able to give now is probably not going to  
22 really contribute greatly. They are significant  
23 questions that you have raised.  
24  
25 THE CHAIRMAN: Thank you very much indeed. That does  
26 bring to an end an exciting two days. The next  
27 step is perhaps to reiterate what I said  
28 yesterday, or to clarify, that there has been a  
29 section 2.9 order issued for further information  
30 to be put in the public domain and when that  
31 information is provided it will be provided to  
32 participants to assist them to assist us in  
33 assessing this application.  
34  
35 We have certainly heard and accept that  
36 there is always benefit from further submissions  
37 and it may be, as I think may have been suggested  
38 by Jim McLeod, some merit in having a closing  
39 date for further submissions. That is something  
40 we can consider, but there is no question that we  
41 will allow for further submissions.  
42  
43 There will be further consultation and  
44 processes. There is a lot of work that is being  
45 done and is about to be done, including work by  
46 consultants looking at issues such as asset  
47 valuation, capital expenditure and pricing costs,  
48 and clearly we want to explore more and better  
49 understand some of these exciting technical  
50 issues like MDQ and balancing and pricing  
51 structures and the like.  
52  
53 Whether there is the need for, benefit from,  
54 a further hearing as opposed to other public  
55 processes prior to the draft determination is  
56 something that the Tribunal will form a view on.  
57 Then there will be a draft determination.  
58

1 So with that outline of the next steps,  
2 again I think all of you, AGL Gas Networks and  
3 other stakeholders, for helping us because I know  
4 that for Jim and I the last few days have  
5 actually been of great benefit. Thank you very  
6 much.

7

8 (At 3.10pm the Tribunal was adjourned  
9 accordingly)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

32

33

34

35

36

37

38

39

40

41

42

43

44

45

46

47

48

49

50

51

52

53

54

55

56

57

58